

639

0

File: 541.460.000n
C.H.



THE MEMPHIS DEPOT TENNESSEE

ADMINISTRATIVE RECORD COVER SHEET

AR File Number 639

NOTE: These minutes were approved
at the ~~February 21, 2002~~ RAB
meeting ~~February 21, 2002~~ November 15, 2001

File: 190300.000.0
C.H. 639

639

1

MEETING MINUTES
The Memphis Depot
Restoration Advisory Board
July 19, 2001
2600 Elvis Presley Boulevard
Memphis, TN

The Restoration Advisory Board (RAB) meeting was held at 6:00 p.m. on July 19, 2001 at Sander's Catering, 2600 Elvis Presley Boulevard, Memphis, Tennessee. The attendance list is attached.

1 WELCOME AND INTRODUCTION

2
3
4 MR WILLIAMS. Good evening, and welcome to the Memphis Depot Restoration Advisory
5 Board meeting
6

7 **REVIEW AND APPROVE JULY AGENDA**
8

9 MR WILLIAMS I was wondering if everybody had a chance to look at the agenda If
10 not, please do so
11 (Brief pause)

12 MR WILLIAMS Now that you have looked at the agenda, would anybody like to make any
13 changes to the agenda or any suggestions about adding or deleting
14 anything at this point? If not, could I get a motion to approve the agenda?

15 MS BRADSHAW Could you wait just one minute, please, so I could look at it? I can't see

16 MR WILLIAMS Well, while we're waiting for her to read the agenda, we have a card that
17 Kevin Clay sent, and I want Betty Bates to ---

- 1 MS BATES Kevin sent a card thanking -- he said, "To the RAB members and the DLA
2 representatives Thank you for your kind certificate and numbered coin in
3 recognition of my service as a RAB member Thanks, Kevin Clay " And
4 the card says -- let me get to a little light -- "Ever know when something
5 small you say or do gets noticed and shared forever as a little light -- a
6 little light in someone's life " And that's from Kevin, and he's just
7 thanking everybody as a former chair of the RAB for his certificate and
8 his coin
- 9 MR. WILLIAMS. Okay, so, now has everybody had a chance to review the agenda?
10 (Brief pause)
- 11 MR WILLIAMS Now may I have a motion?
- 12 MR TRUITT So moved
- 13 MS. YOUNG Seconded
- 14 MR WILLIAMS All in favor?
- 15 MR BRAYON I just wondered, are the lights -- the electricity out?
- 16 MR WILLIAMS Yes.
- 17 MR BRAYON Okay, then I think we need to discuss that
- 18 MR WILLIAMS First of all, I would just like to explain, the weather has gotten bad and
19 knocked the power out So it's not a candlelight vigil We're just trying to
20 get through the meeting Make sure you state who's speaking at the time
21 that you speak All right, the agenda has been approved
22
- 23 **REVIEW AND APPROVE MAY MINUTES**
24
- 25 MR WILLIAMS Has everybody had a chance to look over the minutes from the May
26 meeting?
27 (Brief pause)
- 28 MR. WILLIAMS Does anyone have any changes or anything to the minutes or notice if
29 something was misquoted or anything like that? If not, may I get a motion
30 to approve the minutes to the last meeting?
- 31 MS PETERS Johnnie Mae Peters Mr Chairman, I move that we accept the minutes

1 MR. WILLIAMS All in favor? Oh, have I got a second?

2 MR. TRUITT Seconded Ulysses Truitt

3 MR. WILLIAMS All in favor?

4 THE BOARD "Aye "

5 MR. WILLIAMS Any opposed?

6 (Brief pause)

7 MR. WILLIAMS Abstained?

8 (Brief pause.)

9 MR. WILLIAMS So moved Okay, we have a guest here, Ms Vanessa Daniels She's from
 10 the Applied Research Center in Oakland, California If she would like to
 11 stand just to let people know who she is.
 12

13 **OLD BUSINESS - COMMUNITY RAB HOUSEKEEPING ISSUES**

14

15 MR. WILLIAMS Okay, we're here at the Old Business - Community RAB Housekeeping.
 16 Anyone have anything they would like to pick up on the housekeeping
 17 issues about the Defense Depot, the cleanup or anything?

18 MS. BRADSHAW I have a question

19 MR. WILLIAMS Okay

20 MS. BRADSHAW Doris Bradshaw I thought the ROD (Record of Decision) was supposed
 21 to be ready Is it ready? Is it signed on or what is going on with the
 22 ROD?

23 MR. BALLARD Turpin Ballard now answering The ROD has been signed by DLA
 24 (Defense Logistics Agency) and TDEC (Tennessee Department of
 25 Environment and Conservation) One element of the remedy is Land Use
 26 Controls, and Region IV requires that a Land Use Control Assurance Plan
 27 (LUCAP) be in place between ourselves and the Army, in this case, before
 28 we sign off on the ROD and make the remedy final

29 MS. BRADSHAW Has TDEC signed off on it already?

30 MR. BALLARD Contingent on this Land Use Control being in place

31 MS. BRADSHAW Just on the Land Use Control?

- 1 MR BALLARD No They've signed off, but their approval or concurrence on the ROD is
2 contingent on the successful negotiation of this Land Use Control
3 Assurance Plan, which has been successful We expect it to be signed
4 within -- well, within a week or two, and then we sign off on the ROD
5 We're moving ahead with the design of the remedy, and when -- we can do
6 that before the actual Record of Decision is signed
- 7 MS BRADSHAW Once the Record of Decision is signed, then it's turned over to the city
8 completely, right?
- 9 MR BALLARD No, no. I think you're mistaking the Record of Decision and the Finding
10 of Suitability to Transfer (FOST). That's a transfer document The
11 Record of Decision is the cleanup decision That's independent of the
12 plume property
- 13 MS BRADSHAW So the city is not going to get the land until the Record of Decision is
14 made? I thought it was already done, parts of it.
- 15 MR DEBACK The city currently has control of the property under a lease
- 16 MS BRADSHAW So it's a lease, and it's not the city's property completely yet?
- 17 MR DEBACK Well, it's city property by a lease
- 18 MS BRADSHAW By a lease only?
- 19 MR DEBACK Yes
- 20 MS BRADSHAW Okay, thank you
- 21 MR BALLARD Turpin Ballard I just wanted to clarify one thing The Record of
22 Decision is not holding up the transfer of the majority -- remaining
23 majority of the Main Installation That's sort of on a separate track
- 24 MS BRADSHAW So there will be more than one ROD?
- 25 MR BALLARD Well, there will be a ROD for the Main Installation and there will be a
26 ROD for Dunn Field The transfer process is sort of a separate, parallel
27 process There are some points where they sort of dovetail, come
28 together, but the cleanup process is not holding up the transfer process
- 29 MS BRADSHAW So, whether it's clean or not, they can give it to the city to lease? That's
30 what it sounds like you're saying
- 31 MR BALLARD I understand I can see where it would sound that way

1 MS BRADSHAW I'm just saying that I want you to clear that up
 2 MR DEBACK There is an environmental document that was rendered called a Finding of
 3 Suitability, and that ---
 4 MS BRADSHAW I know about the Suitability to Lease, but I was talking about the ROD I
 5 thought it was ready for a sign-off It was supposed to have been ready in
 6 April.
 7 MR DEBACK Yes, ma'am.
 8 MS BRADSHAW And then ---
 9 MR DEBACK. It is ready
 10 MS BRADSHAW It's ready but when is it going to be signed off on?
 11 MR BALLARD Just as soon as we get that other -- that Land Use Control Assurance Plan.
 12 MS BRADSHAW And how soon will that be?
 13 MR BALLARD. That is -- I can't give you a date, but my best estimate is that the plan
 14 should be signed by the first week of August, and the ROD could be -- or
 15 will be signed immediately after. The Record of Decision will be signed
 16 immediately after.

17
 18 **NEW BUSINESS - GROUNDWATER UPDATE**

19
 20 MR WILLIAMS If there is no more, we're going on to New Business, the groundwater
 21 update
 22 MR HUNT Good evening I would like to take this opportunity to present to you this
 23 evening Mr Steve Offner. He is a professional geologist recognized by
 24 the State of Tennessee, Georgia, Alabama and Florida He's currently a
 25 Project Manager for CH2M Hill and has been the environmental
 26 consultant for the Army Corps of Engineers here with the Depot project
 27 since 1997 This evening he will be presenting an update on the
 28 groundwater at the Main Installation and Dunn Field Steve
 29 MR OFFNER Good evening everyone I hope you can hear me I had a nice
 30 presentation lined up I believe you have a hard copy of it at your seat I

1 think we'll be able to get through this I'm going to work off my laptop as
2 long as I have power, battery power. Does everybody have the handout?
3 (Brief pause)

4 MR. OFFNER. Tonight what I want to do -- what I'm here for is to give you an update on
5 the groundwater conditions at the Memphis Depot, both on the Main
6 Installation and on Dunn Field. (Brief Pause)

7
8 If you would turn over to the presentation on the overview on this update.
9 We're going to be talking about the monitoring wells that are present on
10 the Depot, give some background and location of the monitoring well
11 network that we have here at the Depot We're going to talk about
12 groundwater conditions What we're seeing is an update to that in the
13 shallow aquifer

14
15 Concentrating mostly on the shallow groundwater at the Depot, the
16 groundwater is about 80 to 100 feet down below the land surface In
17 addition, we're going to be doing an update on the geological conditions at
18 the Depot We're going to talk about the findings, a summary of the
19 findings So this is an update for both the Main Installation and Dunn
20 Field and what are the next steps with regard to groundwater on both the
21 Main Installation and Dunn Field

22
23 If you will switch to the next page Currently there is a network of 96
24 groundwater monitoring wells located on the Depot and the surrounding
25 area outside the Depot boundary Twenty-nine wells are located within the
26 boundary of the Main Installation That's the southern largest part of the
27 Depot Thirty-two of the 96 wells, groundwater wells, are located on
28 Dunn Field, the northern extension of the Depot, and those wells are
29 concentrated along the western boundary of Dunn Field Thirty-five wells
30 are located off the Depot property in the surrounding community A total
31 of 96 monitoring wells make up the groundwater monitoring well

1 network A total of 92 wells have been used to gather groundwater
2 analytical data, sampling data, from 1996 to present

3
4 There's a difference of four wells Two of those wells are new
5 groundwater wells that were recently installed on Dunn Field, and they are
6 to be sampled in the next groundwater monitoring event So we haven't
7 sampled them yet, and there are two wells present on the Main Installation
8 that are dry and can't be sampled. So that makes a total of 92 wells
9 These wells were sampled as part of the Remedial Investigation sampling
10 between 1996 up through the year 2001. The analytical data from these
11 groundwater sampling events during these years are reported in a number
12 of groundwater monitoring reports from 1996 through 2001 In addition,
13 the Main Installation RI (Remedial Investigation) report that was finalized
14 in January of 2000, groundwater data is presented in there Also with the
15 Main Installation Groundwater Feasibility Study that was dated July 2000.

16
17 MR. OFFNER The groundwater analytical data for Dunn Field will be presented in the
18 Remedial Investigation report that will be -- that is coming out in the fall
19 of 2001 and at that time it will be made available for RAB members
20 All of these documents are and will be available The new report will be
21 available, the existing reports are available in the four Information
22 Repositories, the Depot Information Repositories.

23
24 Groundwater flow Now we want to talk about the flow of the
25 groundwater, concentrating first on the Main Installation Now, in your
26 handout there is a groundwater flow map, and I believe this map was sent
27 to the RAB members earlier in June based on a request during the May
28 groundwater meeting The thing I just want to bring everybody's attention
29 to is the flow of the shallow groundwater on the Main Installation What
30 we're showing in that map -- and it's real hard, and I wish I could show
31 you here, but we have contour, groundwater contour Along those

1 contours -- those contours represent equal elevations of groundwater, and
2 groundwater flow is perpendicular to those lines, which means
3 groundwater flow flows at a 90-degree angle to those contour lines
4

5 You can see on the -- we have a flow component from the southwest to the
6 northeast On the southwest portion of the Depot, flow comes onto the
7 Main Installation from the southwest, flowing to the northeast And if you
8 look on the eastern half of the Main Installation, you can see that flow
9 primarily comes from the northeast into the southwest On the center
10 portion of the Main Installation there is a general component of flow from
11 the north to the south So it's a fairly complex flow structure with regard
12 the shallow aquifer
13

14 MR. OFFNER

Dunn Field, if you look there up to the north part of your figure, we see
15 the general flow direction of Dunn Field is from east to west I know it's
16 going to be tough for you to see that on these drawings, but the flow is
17 from east to west There are some slight variations from that, but that is
18 the primary component
19

20 Next I want to talk about the geologic conditions on the Depot, both on the
21 Main Installation and Dunn Field What we mean about geologic
22 conditions are we're talking about an update on the findings of the various
23 sand layers, silt, gravel, the clay layers and the groundwater that we see in
24 the earth below the Installation Of particular importance -- of particular
25 importance of our geologic conditions is a thick, dense impermeable clay
26 layer that we see below the shallow water table on the Depot The water --
27 the shallow water table is located about 80 to 100 feet below land surface
28 Below that we see a clay layer and this clay layer provides us protection
29 from downward flow from the surficial aquifer into the deeper aquifers
30

1 And this is going to be -- there were a couple of drawings I wanted to
2 show here that really kind of brought some things together There is a
3 drawing that's called a Regional Conceptual Model If you can find that,
4 it's the one behind that one (Indicating) I think these are stapled wrong.
5 You can see it right here (indicating) It's that one Yes, it's that, the next
6 one It's this one (indicating)

7
8 What we're showing you -- and I'm going to bring it up on the screen if
9 you don't mind This is kind of a regional conceptual geologic cross
10 section There's a dark black line that starts on the east where you see the
11 Memphis Depot and goes approximately 1 5 miles to the west, over to the
12 Allen Well Field, which is the well field for the drinking water, the water
13 supply well field by MLGW

14
15 MR. OFFNER. If you take that black line and basically flip it up on its side, that is the
16 geologic cross section In this cross section it shows you the right-hand
17 side of the page or to the east of Dunn Field and over to the west the Allen
18 Well Field I just want to go through this real quick and kind of identify
19 the geologic conditions I was discussing The upper sand and gravel and
20 silt deposits that we see below the ground on Dunn Field, and down to
21 about 80 feet below land surface, we see the shallow groundwater Then
22 beneath that we see the clay layer that I was speaking about, the dense,
23 impermeable clay layer that is a barrier to downward water flow

24
25 Below that -- and I know it's going to be very tough for you to see with
26 your lighting, but about 150 feet below land surface is the clay and sand
27 intermediate groundwater That is groundwater located in the clay and
28 sands below that clay barrier Below that is the Memphis Sand Aquifer
29 and that is located about 300 feet below land surface where this formation
30 begins, and the intake for these -- you see the Allen Well Field wells on
31 the left-hand side Those are about 500 feet -- Mr Webb just corrected me

1 Those are about 500 feet below land surface Okay, that's the geologic
2 conditions

3
4 What's important is if you look down on the bottom part of that drawing,
5 you can see the figure of Dunn -- I'm sorry -- of the Depot In the blue --
6 that's not in color, but you can see in the map there are these lines with
7 arrows. These are the areas where we have volatile organic compounds
8 (VOCs) or solvents in the shallow groundwater on the Memphis Depot
9 You can see the other arrows are the groundwater flow direction What's
10 important here to show is that the environmental conditions that we're
11 seeing in the shallow groundwater on the Depot have not impacted the
12 drinking water source in the Allen Well Field

13 MS BRADSHAW Could you repeat that? You said "have" -- "have"?

14 MR OFFNER Have not

15 MS BRADSHAW H-a-v-e, have not?

16 MR OFFNER Have not

17 MS BRADSHAW Are you saying because -- I hate to interfere, but I know with the lights
18 and everything, a scientist -- I think it was Dr Lee that said that they didn't
19 know, and so now you're telling me it has not

20 MR OFFNER Well, what we do know is that ---

21 MR WILLIAMS Excuse me one second Could we sort of wait until this gentleman gets
22 through with his presentation and just hold all our questions to the end?

23 MS BRADSHAW Okay

24 MR WILLIAMS Because I know there's going to be more questions than we have time for
25 if he doesn't get through this So just -- if we could bear with him I
26 appreciate it

27 MR OFFNER That's a good segue into what I wanted to say next We have the 1999 and
28 the 2000 groundwater data from MLGW for the eastern most wells of this
29 well field What that means, these are the wells that are closest to the
30 Depot, and they do not have any -- this data shows no detections for
31 volatile organic compounds

1 MS BRADSHAW Or VOCs.

2 MR. OFFNER. Now, we were talking about that clay layer. There are three areas that we
3 know of on the Main -- I'm sorry -- on the Depot where there is some
4 connection between the shallow aquifer and the deeper groundwater
5 aquifers. If you will look back on that drawing that's in the center part on
6 the drawing here, you see we have this area where the clay is not present.
7 If you go to another drawing, I want to specifically talk about that. This is
8 an area where the clay isn't present and there is some connection.
9 However, all analytical data from the intermediate aquifer at these
10 locations are within the safe drinking water standards. So we're not seeing
11 an impact to that lower aquifer.

12

13 What we found -- if you go to the different -- to the other geologic cross
14 section that was in there, the one that was before this. This (indicating) is a
15 geologic cross section from the upcoming Remedial Investigation for
16 Dunn Field. What this is on the right side of this drawing is a cross section
17 that starts on the north side of Dunn Field, goes along -- draw a line down
18 along the western edge of Dunn Field and then down onto the Main
19 Installation. Then you look up and look at a cross section of that going
20 from north to south. You can see the geologic conditions we were talking
21 about and can ---

22 MR. TRUITT. I can barely see that on this

23 MR. OFFNER. Well, it shows the layers of silt, of clay, sand, of sand and gravel. It shows
24 the surficial -- I'm sorry -- the shallow groundwater on Dunn Field sitting
25 up on the clay layer. Then over here on this southern part of Dunn Field
26 and the northern part of the Main Installation, it's an example of this area
27 where the clay is not present, where we have a connection downward to
28 the lower aquifer. What's important to point out there is as you get to the
29 boundary of these connections, we see a no to a limited-flow boundary
30 along this connection. So what that's saying is we have a very limited
31 interface from the shallow to the intermediate water below that. The point

1 here is that the analytical results from that intermediate water for volatile
2 organic compounds are within the safe drinking standards

3 MS. BRADSHAW: Mondell, I hate to interfere. You keep saying just for VOCs. You're not
4 talking about TCE (trichloroethene) or the ---

5 MR. OFFNER: Yes, I am. I'm sorry. Those are the solvents. I mean the solvents in ---

6 MS. BRADSHAW: You are just saying "VOCs." So I'm trying to understand you about the
7 other chemicals.

8 MR. OFFNER: Okay, if you're familiar -- maybe this next slide will help and then actually
9 the next one after this. What I mean by volatile organic compounds, those
10 are the number of solvents ---

11 MS. BRADSHAW: I understand what they are

12 MR. OFFNER: Tetrachloroethene, trichloroethene and those, those are the -- for the Main
13 Installation, those are the contaminants of concern that have made it
14 through the feasibility phase of the Proposed Plan. That's what the
15 groundwater remedy for the Main Installation is going to deal with, and
16 you will see it here later on the slide. For Dunn Field we have a longer list
17 of volatile organic compounds that we have to deal with. These are the
18 compounds of most concern at this point for cleanup purposes.

19

20 The next slide is a summary of the findings of the groundwater update for
21 the Main Installation. The first thing I want to talk about is that they say
22 that the shallow groundwater does contain volatile organic compounds or
23 solvents. This is the groundwater on the Main Installation at 80 to 100
24 feet below ground surface. It's important to note that this is not a source
25 of drinking water and that the drinking water aquifer under the Main
26 Installation is not affected by the environmental conditions in the shallow
27 aquifer.

28

29 If you remember back in August of 2000, the Proposed Plan was made
30 final, and the Public Comment Period was shortly thereafter. There was a

1 public meeting about what the preferred remedy in the Proposed Plan for
2 groundwater was. We have that. That is outlined in the Proposed Plan
3 There is one other thing I did want to bring up concerning the findings for
4 the Main Installation groundwater. The Tennessee Department of
5 Environment and Conservation (TDEC) is going to be doing an
6 investigation to look at suspected off-site sources of VOCs or solvents at
7 the southwest and the southeast corners of the Main Installation.

8
9 If you go to the table that's at the next slide, again, this is a summary of the
10 findings. What we're showing here are the volatile organic compounds or
11 the VOCs that are present in the shallow groundwater. Again, that's the
12 groundwater that's within 80 or 100 feet below land surface. The first
13 compound, tetrachlorethene, or otherwise known as PCE, and
14 trichloroethene, TCE, those are the contaminants of concern for the Main
15 Installation groundwater.

16
17 MR. OFFNER: The next column over is the maximum contaminant level (MCL). This is
18 a health-based protective standard established by the EPA (Environmental
19 Protection Agency) for groundwater or drinking water. These
20 concentrations for both of these compounds are five parts per billion.
21 That's the allowable limit. Anything at five or below is considered safe.

22
23 The total wells on the Main Installation at concentrations five parts per
24 billion or below for PCE is 28 of 36 wells. The total wells greater than
25 five parts per billion for PCE is eight wells. I did want to show on the
26 right-hand column, the highest recent levels detected from the most recent
27 groundwater sampling events on the Main Installation show the highest
28 concentrations of PCE at 200 parts per billion and 78 parts per billion.
29 Again, TCE as an MCL, maximum contaminant level, five parts per
30 billion, at that level or below it's considered safe. The total wells at safe
31 levels are 31 of 36 wells on the Main Installation monitoring well.

1 network Total wells greater than MCLs are five wells, concentrations
2 greater than five The highest recent levels detected of TCE in the
3 groundwater monitoring network or the shallow wells on the Main
4 Installation is 50 parts per billion and 39 parts per billion
5

6 There was one asterisk I wanted to point out there. It may be hard to see.
7 The 200 parts per billion, that well was re-sampled. It's Well MW47, and
8 it was re-sampled in March of 2001 PCE was not detected greater than
9 one part per billion We're going to look at that again, and we're going to
10 look at that from a standpoint of groundwater sampling as part of the
11 groundwater remedy. So we're going to get more information on that
12

13 MR. OFFNER: Now to move on to findings -- I'm sorry Let me go back one. There is a
14 figure -- well, if you go back to the -- and you don't have the end of it If
15 you go back to this Regional Conceptual Model, if you look down on the
16 Main Installation, here are the VOCs that we're finding in here, the PCE
17 and the TCE on the Main Installation (indicating). Those are the
18 groundwater flow directions around there. That's where we are finding
19 these concentrations we talked about in the shallow groundwater on the
20 Main Installation
21

22 The next topic is a summary of the findings of the groundwater update for
23 Dunn Field Again, the shallow aquifer on Dunn Field, the aquifer is 80 to
24 100 feet below land surface, contains solvents, volatile organic
25 compounds Again, this water is not used for drinking water, and the
26 drinking water aquifer beneath Dunn Field is not affected by the
27 environmental conditions in the shallow aquifer
28

29 If you go on to the next page, it gives you a summary, again, a summary
30 table of the volatile organic compounds, the VOCs that we're seeing on
31 Dunn Field Some of these are the tetrachloroethene or the PCE, and TCE

1 are the same compounds that we're seeing down on the Main Installation
2 There are some other compounds that we're seeing on Dunn Field. Some
3 of these compounds are breakdown products of other compounds. It's
4 called a biotransformation product. As it degrades, it turns into these other
5 compounds. But you can see our list there is a little longer than it was on
6 the Main Installation

7
8 MR. OFFNER Again, the same concept. We're showing the maximum contaminant
9 levels for each of these compounds. This is the health protective standard,
10 the allowable limit of those compounds in groundwater, safe levels. At
11 these concentrations or below is considered safe.
12 If you want to -- I want to point out two things. There's an asterisk on
13 1,1,2,2 tetrachloroethane, also called PCA, and down at the bottom a
14 compound called chloroform. These don't have any federal mandated
15 maximum contaminant levels in groundwater. However, there are some
16 EPA general health risk values, and these are the values that we're using
17 and will use on a go-forward basis in the Remedial Investigation and the
18 Risk Assessment that's part of that Remedial Investigation So that's one -
19 - two little different elements We don't have an MCL, but we wanted to
20 present the data.

21
22 Again, we show total wells at the safe levels. These are wells where we
23 have concentrations at or below the maximum contaminant levels for each
24 of these compounds Then we have wells greater than the maximum
25 contaminant level, concentrations greater than the MCL column

26
27 Two things I want to point out here. One is TCE, that's our -- that's a
28 compound we're seeing the most of at Dunn Field in the shallow
29 groundwater. The highest concentration -- the highest recent concentration
30 of a single well we've seen of TCE is 2500 parts per billion

1 There is another area I wanted to point out for PCA, 1,1,2,2 PCA There
2 is a single well that shows a one-time sampling of 33,000 parts per billion.
3 I do want to kind of identify that's a single -- that's a single well, and the
4 next closest concentration of PCA is 3000 parts per billion. So I did want
5 to point that out, that that's kind of an isolated well that is located on Dunn
6 Field I want to point that out, that all concentrations aren't that high, but
7 that's kind of an anonymously high concentration If you look on ---

8 MS. BRADSHAW: Do you know where that well is?

9 MR. OFFNER: That well is on Dunn Field.

10 MS. BRADSHAW: What part of Dunn Field?

11 MR. OFFNER: Do you know where the power lines go through Dunn Field? It's just on
12 the north side of Dunn Field. That's an area that we concentrated on, and
13 as we go forward through the Remedial Investigation Feasibility Study, it's
14 one of the key areas that we want to focus on for groundwater
15 remediation

16
17 There is a figure that I handed out, and it kind of shows kind of a plane
18 view, a bird's-eye view of the extent of the VOCs. We're refining the
19 VOCs in the shallow groundwater Again, please have a look at that
20 There are two things I want to stress there One is that the shallow
21 groundwater -- and that is located 80 to 100 feet down below land surface,
22 and that it is not used for drinking water All data shows that the
23 environmental conditions in the shallow aquifer on Dunn Field have not
24 impacted the drinking water in the Allen Well Field.

25
26 Now, the next thing here is the next steps, what's next for groundwater on
27 the Main Installation Well, earlier we talked about the finalization of the
28 Record of Decision Mr Ballard explained this is the decision document
29 that sets forth the remediation plan for the Depot. Once that's signed, it
30 starts the remedial action in motion The first part is the design of the
31 selected groundwater cleanup remedy, and that is -- if you remember back

1 last fall, we talked about it. It's a technology called enhanced
2 bioremediation, and I believe we did a public meeting on it. I believe there
3 are some handouts that better explain -- some fact sheets that better
4 explain this groundwater remediation technology.

5
6 Other cleanup remedies are deed restrictions to prevent groundwater
7 access, and in addition we're going to be installing additional monitoring
8 wells on the Main Installation. Once these actions are complete, we then
9 begin cleanup actions, and as part of that, the cleanup action will be long-
10 term groundwater monitoring. This monitoring is in place to prove and
11 show the effectiveness of the cleanup remedies and to ensure compliance
12 with the deed restrictions. We've got to make sure these things are in
13 place, are being followed and they're working.

14
15 MR. OFFNER: Now, what are the next steps for groundwater on Dunn Field? Well, in the
16 fall of 2001 the Remedial Investigation report will be completed, and this
17 will summarize and present all of the groundwater data and other data, but
18 the groundwater data for Dunn Field. In addition, this presents the Risk
19 Assessment for Dunn Field. Again, the RAB will be seeing that in the fall
20 of this year

21
22 The next step beyond that, in early 2002, is the Feasibility Study, and if
23 you remember back on the Main Installation, we went through the
24 Feasibility Study. That presents the groundwater remedial alternatives and
25 kind of works through a screening process of what alternatives are out
26 there, how they work and can they work. It kind of goes through and
27 comes out as a select -- a number of groundwater remedies that make it
28 through the screening process, and it presents how they would work and
29 how they would cleanup the groundwater to the cleanup standards
30

1 Once that's out, then a Proposed Plan is completed, and what that does is it
2 identifies the cleanup alternative preferred by the Defense Logistics
3 Agency, EPA and Tennessee Department of Environment and
4 Conservation. That's the preferred alternative, just like you saw with the
5 Main Installation That is presented to the public, and there is a Public
6 Comment Period for that selected cleanup alternative.

7
8 After the Public Comment Period, we then have the Record of Decision
9 When the Record of Decision is finalized, then the groundwater remedy is
10 chosen, is approved. It's a decision document, and then we begin the
11 cleanup of the groundwater on Dunn Field. That's kind of it for my
12 presentation right now.

13 MR. WILLIAMS: Just a moment. First of all, just for clarification here, if you're not
14 recognized by the chair, you are out of order, and you will not be
15 recognized to speak. Just to make sure everybody understands what's
16 going on; all right? Ms Peters?

17 MS. PETERS. What I would like to know is about three -- Johnnie Mae Peters. About
18 three years ago Memphis Light, Gas & Water (MLGW) came and made a
19 presentation to us. They said they had two contaminated wells, and I asked
20 them why they couldn't just cut them off and not use those two
21 contaminated wells They said they have to run 89 wells at the Allen Well
22 Field. So when you mix all them wells together, it comes to be them
23 million and thousands of bits you're talking about Did they cure them
24 wells? How did they get rid of that contamination? Because Memphis
25 Light, Gas & Water said there's two contaminated wells, you know, at the
26 Depot They made a presentation, and I asked them the truth about getting
27 rid of them They said they had to use it because they use 89 wells. Could
28 you explain to me a little more about if they have those wells cured up
29 yet?

- 1 MR. OFFNER: Well, I think Mr Webb can shed some light on this quite a bit. I want to
2 let you know that in the Remedial Investigation we're going to present the
3 1999 and 2000 groundwater sampling from the Allen Well Field.
- 4 MR. WEBB: James Webb, MLGW There is no -- around the Defense Depot, as Mr.
5 Offner says, we check the wells each year. In fact, last year -- and we're in
6 the process of doing it this year. We have not to date found any
7 contamination around the Depot -- up around the Defense Depot Yes, we
8 did have a couple of wells with small amounts of volatiles in another
9 section of the Allen Well Field. We use those wells in the summer. They
10 are very small amounts that have very easily -- when we dilute them, we'll
11 say with 18 or 20 other wells, there's practically nothing We could not
12 find a single trace of anything in the water -- well, we finished the water
13 (inaudible). We have real good aeration. We're removing about 70 parts
14 per million of CO2 all the time. So it's easy to remove a few parts per
15 billion of the volatile compounds So it's really no problem for us.
- 16 MR. WILLIAMS: Mr. Brayon?
- 17 MR. BRAYON: I have two questions, and let's get this one first In the wells that are
18 contaminated, have you done an analysis of -- I think you know where
19 these wells are, but looking at them, are they closely coordinated with one
20 another to give you some analysis of where this contamination is coming
21 from and going to and that type of thing?
- 22 MR. OFFNER: Yes. That's a good question. Even last year, through 2000, we had an
23 expended effort where we went in and put additional wells, like you said,
24 around these areas to better define these contaminants in shallow
25 groundwater So, to answer your question, we know where they are, and
26 we do have control on the boundary, and we do know which direction they
27 are flowing
- 28 MR. BRAYON: And which direction they are going, right?
- 29 MR. OFFNER: Yes
- 30 MR. BRAYON: Okay, now, what -- this will be a part of your cleanup?
- 31 MR. OFFNER: Oh, yes, very much, sir You have to have that before you can ---

1 MR. BRAYON One other question On the Regional Conceptual Model, this intermediate
2 well is in the depressed area.

3 MR. OFFNER. Yes, sir

4 MR. BRAYON: Right?

5 MR. OFFNER. Yes, sir

6 MR. BRAYON: And this is the shallow part where -- the area from the top of that
7 depression to the area of your Memphis drinking water is 100 feet?

8 MR. OFFNER About 150 feet down to that formation that begins called the Memphis
9 Sand Aquifer

10 MR. BRAYON. Okay, what is the future plan for that -- wait, before the future plan, I am
11 trying to get an estimate of where this is located. Is it on the Main
12 Installation?

13 MR. OFFNER. Here, let me show you Because there are three areas that we have
14 identified These are areas that -- again, we have done additional drilling
15 this year to better characterize the area around it These are -- Mr. Brayon,
16 this area in here (indicating)

17 MR. BRAYON. Can I come up?

18 MR. OFFNER. Yes, sir, please do This is a central area here in the north central part of
19 the Main Installation in the very southern end of Dunn Field Okay, that's
20 where we saw -- if you look at that cross section, it goes right through
21 there, and it shows this connection

22 MR. BRAYON North?

23 MR. OFFNER North to south, on the north part of the Main Installation coming up in the
24 southern part of the very bottom of Dunn Field And we see an area out
25 here as well west of Dunn Field. That was the area that shows in the
26 Regional Conceptual Model That black line went through there There is
27 another area northwest of Dunn Field These are where the shallow
28 aquifer meets the intermediate, and these are areas where remedial actions
29 and any ongoing groundwater monitoring will be conducted at both -- at
30 the edge and within these locations This is where we (inaudible).

31 MR. WILLIAMS Okay, Ms. Bradshaw

1 MS. BRADSHAW I have several questions I will try to limit them to three
2 MR. WILLIAMS Yes, thank you.
3 MS. BRADSHAW But I hope that we can do this again because I have -- by being in the dark,
4 this is very uncomfortable I know that it wasn't your fault, but an act of
5 God. So, since we're on the issue, I wish you would do this a little better
6 by putting streets and boundaries on these maps so we will know exactly
7 what street is affected with the plumes that's off site. Because this is not --
8 you know, it would help a lot better But you just addressed the VOCs.
9 MR. OFFNER: Yes, ma'am.
10 MS. BRADSHAW: And I haven't heard any -- all of the sudden it's been limited to ten
11 chemicals that are VOCs
12 MR. OFFNER: Yes, ma'am
13 MS. BRADSHAW: I'm wondering what happened to the other chemicals that was in the
14 groundwater. Like Ms. Peters stated about the drinking wells, and all of
15 the sudden, you know, it's just VOCs From my understanding, when the
16 reports came out in the beginning, there were reports of clay being at the
17 level of -- you know, that was real thin and that it was a possibility that it
18 was permeated where the water was leaking into the -- a possibility that
19 the water was leaking into the Memphis Sand, our drinking water.
20
21 It was never tested because they were afraid that if they tried to test it that
22 they would puncture it and cause even bigger problems I'm hearing
23 something totally different from what we have heard earlier. Since you're
24 on the VOCs, the trichloroethene and the tetrachlorethene -- both of them
25 look the same here -- I have two reports I don't know if I got the right
26 chemical because I wanted to make sure that I understand what these
27 chemicals were and how they would affect a person Because VOCs -- I
28 understand why VOCs is so much of a problem Because VOCs go up
29 into people's houses, and you can't contain VOCs. VOCs kind of move
30 around just like a lot of little bugs It soaks through the ventilation
31 systems of the houses. So I'm wondering where are these plumes Are

1 they under people's houses on Dunn Field? Is this Rozelle that I'm looking
2 at?

3 MR. OFFNER Yes

4 MS. BRADSHAW Then that -- that is just for the VOCs? That's the only thing that you're
5 going to look at is the VOCs?

6 MR. OFFNER: No. The Remedial Investigation is going to talk about all the compounds
7 we have tested and what moves through as what we call contaminants of
8 potential concern. However, for this groundwater update, the VOCs or the
9 volatile organic compounds of any of these contaminants that we're
10 looking at out here, any of these groups of compounds that we run lab
11 analysis for, those are the most mobile

12 MS. BRADSHAW Okay, so you are doing, like, air monitoring samples on the VOCs?

13 MR. OFFNER: I'm sorry?

14 MS. BRADSHAW Are you doing air monitoring samples on the VOCs on Rozelle?

15 MR. OFFNER: What we're doing -- and this is going to be presented in the RI What I can
16 tell you right now is that we are doing -- the groundwater here is 80 to 100
17 feet below, and in the Risk Assessment and the upcoming Remedial
18 Investigation we have looked at the risk from volatiles coming up through
19 the soil and in the home It's called an indoor air risk.

20 MS. BRADSHAW Right.

21 MR. OFFNER: We have done the models, and we have information The first draft has
22 not been reviewed by EPA or Tennessee Department of Environment and
23 Conservation However, the Preliminary Risk Assessment shows that we
24 are at safe levels there

25 MS. BRADSHAW But you're talking about a well that's 33,000

26 MR. OFFNER That's on Dunn Field That's back in the source area.

27 MS. BRADSHAW But how do we know what amount of toxins in those wells are VOCs? I'm
28 just saying to that because I've got a question about that

29 MR. OFFNER: We're going to be presenting all of that data from '96 through the present
30 for all of these compounds in the Remedial Investigation

31 MS. BRADSHAW Well, could you tell me where that data is and if it's public information?

1 MR. OFFNER: There is -- yes, there is some data. You are right. There is some data from
2 1996. There were two sampling events in 1997, and I believe there were
3 two sampling events in 1998. There are documents called Groundwater
4 Monitoring Reports where that's shown.

5 MS. BRADSHAW: Yes.

6 MR. OFFNER: In addition, there has been O&Ms, an operation and maintenance, for the
7 groundwater extraction system at Dunn Field. We've been doing quarterly
8 monitoring on those wells west of Dunn Field for two years. That data is
9 also there, ma'am.

10 MS. BRADSHAW: Okay, but what I don't understand is you have been knowing that TCE was
11 off site for awhile. You know that the VOCs and stuff was flowing up for
12 awhile, and I know you are the geologist. So I'm not going to throw this
13 on you or for nothing. I've got something to throw on EPA. So thank you
14 and I hope that you will do this again. I just feel like that I didn't get all
15 that I could out of this.

16 MR. WILLIAMS: Ms. Bates?

17 MS. BATES: Well, first of all, I want to thank you for your presentation. It was nicely
18 done considering the darkness and all. But are you trying to tell us that the
19 water is safe to drink or not safe to drink?

20 MR. OFFNER: What I'm trying to tell you is that the water that you are drinking -- the
21 environmental conditions in the shallow aquifer that we're discussing in
22 the 80 to 100 feet below land surface has not impacted the drinking water,
23 from the Allen Well Field to the Memphis Sand, at unsafe levels, yes.

24 MS. BATES: So it's not safe to drink?

25 MR. OFFNER: It is.

26 MS. BATES: If it's safe to drink, why are the employees here and the companies here
27 supplied fresh water daily brought in?

28 MR. WEBB: Who was supplied fresh water?

29 MS. BATES: All the companies that's -- you know out at the Defense Depot, they are
30 shipped in water. They are not allowed to drink the water. If it's safe to
31 drink, why are they not drinking the water?

1 MR. WEBB: Let me try to explain. I'm not sure about that, but what I understand is
2 there is iron pipe -- there's rolls of old pipes in this Defense Depot area,
3 and there is a lot of rust that comes out of there. So because -- it's mainly
4 because of the rust there.

5 MS. BATES: We were told that the pipes were finished back during the winter. The
6 pipes and things have already been removed and redone for the new
7 companies.

8 MR. WEBB: Maybe for the new companies, but not for the whole area.

9 MS. BATES: For the Depot employees, the workers. They are not drinking that water.
10 That's all I wanted to know.

11 MR. COVINGTON: If I could just comment a bit on it. Jim Covington, Depot Redevelopment
12 Corporation. The pipes -- all the pipes have not been replaced. Some
13 pipes have been, the worst pipes, and it was described correctly. These are
14 old pipes, and they have deposits from water or calcium and things like
15 that inside as well as rust, and sometimes that affects the color of the
16 water. And if they don't like the color of the water, they are welcome to
17 bring their own water. But it's more, I believe, that people like the cold,
18 fresh water that they have contracted with these purified water companies,
19 bottled water companies. I have no information that says that the water is
20 not good to drink.

21 MS. BATES: The employees are told not to drink the water. They have talked to me,
22 and they asked me about it. You know, so I told them that we were told in
23 one RAB session a couple of months back that all of the pipes have been
24 redone.

25 MR. COVINGTON: No, all of the pipes aren't.

26 MS. BATES: But they are being shipped in water, and they cannot drink that water.

27 MR. COVINGTON: I don't think anybody is keeping them from drinking the water. I would
28 have to defer to the companies that have decided to do that.

29 MR. DEBACK: The former Depot employees that were there until last week have never
30 been told not to drink the water. I drink the water out there. We've had
31 some issues of cloudiness in the water. We've had some pipe breaks out

1 there with the construction, but there were some deliveries to the police
 2 force, and that was at their request. It was a union issue. It was not a
 3 health issue.

4 MR. WILLIAMS: Mr. Tyler. I appreciate you taking time out, but go ahead.

5 MR. TYLER: Stanley Tyler. First I would like to apologize to the Chairman for being
 6 late sometimes. I do have a job. I do have to work over. Now, let's get to
 7 the unpleasant business at hand. I like the fact that you people are having
 8 noble intentions carrying on a meeting in the dark. However, this
 9 important situation about the drinking water and all this electronic
 10 equipment that we can't see -- but I trust you are telling me the truth --
 11 should be rescheduled and put on again so that the public that is here,
 12 some who are concerned about this electronic information -- honestly, I
 13 can't read this map with candlelight. That's just me. I'm just one vote. I
 14 respect the fact of your noble intentions. It's like cutting a ditch in rain.
 15 It's a good effort, but the next day it's still going to be water. So I would
 16 like for us to try to reschedule this meeting and have this presentation
 17 again so those people who couldn't get -- (inaudible). I hope that you can
 18 do this again with God's help.

19 MR. BALLARD: Well, if I can add something to that, we're going to be moving into some
 20 Remedial Investigation summaries here in the fall, and we're going to be
 21 presenting this data more and more.

22 MR. TYLER: One last point. Drinking water is two-thirds of the planet, and people need
 23 to know. What can I say? That's me. I respect you for trying. I respect
 24 the committee for trying. I would like for us to try to reschedule this.
 25 This is important information here, and there's a lot of questions and maps
 26 and figures that sometimes you just can't see in candlelight. That's my
 27 opinion.

28 MR. WILLIAMS: Just a moment. That was a good idea.

29 MS. PETERS: And I second it. Did you make a motion?

30 MR. WILLIAMS: Did you make a motion?

31 MS. PETERS: Yes.

1 MR TYLER I can
 2 MR WILLIAMS: Seeing that was a good idea what you said, and I respect that thought that
 3 you gave, and I would like to make -- like someone to make a motion.
 4 MS BRADSHAW He's doing it
 5 MR WILLIAMS Okay, well, could I get someone to second it?
 6 MS BRADSHAW I second it.
 7 MS PETERS Y'all going to all come back?
 8 MR TYLER I will
 9 MR WILLIAMS All in favor?
 10 THE BOARD "Aye "
 11 MR WILLIAMS Any opposed?
 12 (Brief pause)
 13 MR WILLIAMS Abstained.
 14 MS BRADSHAW You have got community people out there saying "aye "
 15 MR DEBACK We will reschedule
 16 MS MOORE Well, we want it on the record, those questions on the record Are you
 17 making a motion, Mr Tyler, to have this presentation done at the next
 18 RAB meeting in August?
 19 MR TYLER Yes, ma'am, for the community and the RAB members Those that have
 20 to leave can leave, those who want to stay can stay
 21 MS BRADSHAW That's right

22

23 DEPOT REDEVELOPMENT CORPORATION UPDATE

24

25 MR WILLIAMS Well, we will move on to Mr Jim Covington of the Depot Redevelopment
 26 Corporation
 27 MR COVINGTON It's me again, Jim Covington I'm going to stand here in whatever light
 28 there is, and we have got some good news I think to add to what y'all have
 29 heard tonight We have three new tenants that have been put in place
 30 since the last RAB meeting One is a company called April House that's
 31 going to operate a restaurant in the former cafeteria where we used to

1 meet. They intend to have it under operation hopefully by August 1st, but
2 maybe -- it may not be ready until September the 1st. It's a full service
3 restaurant, retreat center, catering operation, and they are going to have --
4 they are going to serve breakfast and lunch So it will be open to the
5 public, as well to Depot employees If y'all remember how to get to that,
6 it's outside the gate So you can come to it without coming through the
7 gate guard

8
9 We have a company called Southern Express, which is a trucking
10 company that is occupying 40,000 square feet in one of the Korean War
11 buildings. If y'all remember, those are on the south side of the facility.
12 And we have another company called Lifetime Industries that is going to
13 occupy one of the World War II buildings, the first one as you come
14 through the gate on the right-hand side, Building 250. They make air
15 filters, everything from the ones you buy at Walgreen's or Wal-Mart for
16 your home air-conditioning to -- they make air filters for battle ships and
17 all sorts of things in between So it's everything from paper filters to steel
18 and metal filter parts, and they're a pretty large corporation They're a
19 Memphis company, and they are moving from another location in
20 Memphis to the Depot And that's the news as far as new tenants are
21 concerned

22
23 -- On another note, the federal government has asked us to take over some
24 additional mowing responsibilities, and we've mowed on the outside edge
25 of the Dunn Field area outside the fence. We've mowed the golf course
26 and the outside edge on Ball Street -- on Ball Road and we're scheduled
27 Monday to mow Dunn Field itself So we're doing a little bit more work
28 for the federal government in that regard If there are any problems with
29 the way we're doing the mowing, you're welcome to call me directly.
30 That's my report If there are any questions, I would be happy to try to
31 answer them

1 MR DEBACK Ms Bradshaw?

2 MS. BRADSHAW Doris Bradshaw. I asked you several times to supply us a list of all the
3 tenants that's on that site, what they do and what they make

4 MR. COVINGTON. I'm sorry. I would be happy to.

5 MS BRADSHAW And we never did get that. I asked you I know twice, and so this is the
6 third time I'm asking you to supply the RAB members with who is there,
7 what they are doing, what they make and what products do they produce.

8 MR. COVINGTON: I would be happy to do that.

9 MS. BRADSHAW And I would appreciate it.

10 MR. COVINGTON As a response to that, I assumed that my reports at the RAB meeting
11 would take the place of that. I'm sorry that that didn't work, and I would be
12 happy to put it on paper. As I have -- over the months, as I have given
13 these reports, I have told the things that you have asked about to the
14 committee. So I will be happy to put that on paper

15 MS. BRADSHAW: Thank you

16 MR. DEBACK: Mr. Tyler?

17 MR. TYLER Just one quick question You say you are going to mow the grass inside
18 on Dunn Field this week?

19 MR. COVINGTON No. It's scheduled for Monday

20 MR. TYLER Monday coming up?

21 MR COVINGTON Right.

22 MR. TYLER. All right, and the trash that collects on the outside of Dunn Field on the
23 fence line, whose responsibility is that now?

24 MR COVINGTON The company that mows it will pick that up before they mow

25 MR TYLER And I can call you, and you will see to it if there is any problem I have
26 with them, then it will be reasonably taken care of?

27 MR COVINGTON Reasonably taken care of, as much as the federal government can
28 authorize us to do. We probably will mow four times a year, as we are
29 scheduled now to mow Dunn Field four times a year

1 MR. TYLER: One other question. Those tracks going down Dunn right there, has
2 anybody called the city, the railroad to kind of see about that, what shape
3 they are in?

4 MR. COVINGTON: There are two or three sets of tracks there, and the federal government is
5 removing some of those. I think Mr. DeBack has some information on it.

6 MR. DEBACK: The contract negotiations to remove the tracks out by Gate 15 going onto
7 Dunn Field, those -- that will be happening next month -- actually, the end
8 of this month. The track that runs down by Building 210 on the east -- the
9 east most track, that is not our track, and we are not able to do anything
10 with that, Mr. Tyler.

11 MR. TYLER: Okay.

12 MR. DEBACK: That's something I didn't know about when we first discussed this, but we
13 will be removing all the other tracks out there by the Dunn Field entrance.

14 MR. TYLER: Thank you.

15 MR. COVINGTON: Any other questions? It's sort of nice working in the dark. People don't get
16 to see what you look like.

17 MR. DEBACK: In response to the motion that was just made, I just would like to announce
18 that we will take the motion, we will redo this presentation for the RAB
19

20 **BASE REALIGNMENT AND CLOSURE CLEANUP TEAM UPDATE**

21

22 MR. WILLIAMS: Okay, I guess we can move on down to the Base Realignment and Closure
23 (BRAC) Cleanup Team.

24 MR. BALLARD: Turpin Ballard. The BRAC team met today. The major items that we
25 talked about were -- or received briefings on was the briefing from the
26 Remedial Process Optimization Program, which is an initiative that DLA
27 headquarters has brought into the process to look at remedies that have
28 already been selected to see during design how the remedy can be best
29 implemented to improve the process or meet the remedial action
30 objectives more cost effectively through the selected remedy. Where a
31 remedy hasn't been selected, but we're well along in the investigation

1 process, to advise and -- well, basically to advise on possible options and
2 data that ought to be collected in order to be able to evaluate certain
3 technologies in the Feasibility Study, which we might not otherwise have
4 considered.

5
6 I'm happy to say that most of the technologies that they, you know,
7 thought -- recommending we were already considering, but they did add
8 considerable value in how we were going to implement -- how we would
9 implement those. They have also recommended some data collection ideas
10 that we have not previously thought about So that was a good
11 presentation from them

12
13 We discussed schedules for our reviews of the upcoming major documents
14 for the Dunn Field Remedial Investigation and Feasibility Study process
15 and into the decision document process Which -- you know, sort of
16 settling on how long to review, when the documents are going to be
17 submitted, what our review cycle is going to be, how long it will take to
18 revise, things like that

19
20 MR. BALLARD: We're also going to be implementing an electronic document review
21 process where the mutual -- hopefully save a good bit of time and money
22 It costs thousands of dollars to just produce copies of these big, thick
23 documents with nice color photos and color figures. What we're going to
24 be doing, starting with the next major deliverable, is the contractor is
25 going to host the document on its website for reviewers, and reviewers
26 will be able to go in and comment on the document We won't actually
27 get a paper copy We will be commenting on the document on the
28 website So there won't be time lost in transfer and time lost in production
29 of hard copies It will just be "It's available You can go in, use a
30 password and have access to the document." Anyway, it's a pretty neat

1 process, and we're kind of piloting it to see what kind of time and cost --
2 timesavings and cost avoidance we can achieve

3
4 We also have an update similar to what Steve presented here about the
5 conditions at Dunn Field. We discussed the recently -- Jacobs
6 Engineering, who does the operation and maintenance of the Dunn Field
7 groundwater pumping system, recently released their Groundwater Quality
8 Report or semi-annual Groundwater Quality Report. Kraig Smith of
9 Jacobs provided a summary of that. We talked about some work that's
10 going to be coming up here in the near future to support the Remedial
11 Design for the Main Installation. There will be some additional wells
12 going in so that we can optimize where our monitoring well system is
13 going and get a good handle -- a better handle on where our best -- where
14 we should best install our groundwater treatment process, and that is it.

15 MR. WILLIAMS: Mr. Tyler?

16 MR. TYLER: Yes, sir. You say you have a list of remedies. Could I get a copy of the
17 list?

18 MR. BALLARD: I don't have a list of remedies.

19 MR. TYLER: What did they show y'all?

20 MR. BALLARD: The process optimization?

21 MR. TYLER: Yes.

22 MR. BALLARD: Oh, what they do is, for instance -- for example, for our Main Installation
23 where we have a remedy, that's all but final. All we have to do is EPA has
24 got to sign off on it. They would come in during -- they would look at
25 what we are going to be doing and suggest ways that we can do it better.
26 Where we don't have the final remedy, they might suggest technologies or
27 cleanup alternatives that we might not be looking at or might have
28 discarded, but they could bring it back to our attention, looking at it from a
29 different angle. It's just a way of -- sort of like value engineering, if you
30 have heard of that term, value engineer. It's just trying to add value and

1 help us to achieve the cleanup as quickly and cost effectively as we can
2 without sacrificing any of the protectives

3 MR. TYLER Only thing I know about value, it is the same thing as cost effectiveness?

4 MR. BALLARD: No. It's meeting your goals in the most timely and cost effective manner
5 you can

6 MR. TYLER So that's not it

7 MR. BALLARD: But meeting the goal

8 MR. TYLER: Now, what I was asking for was what you saw, those possible remedies.
9 Could I get a copy of what was given to the committee so I could see those
10 possible remedies so I can be as up-to-date as you are? And, also, could I
11 have access -- could I have access to that computer, the electronic terminal
12 that you're talking about where you can go in and do things? Because, you
13 know, I love to get on electronic media

14 MR. BALLARD: I know when I started talking about that I saw your eyes light up

15 MR. TYLER: Yes, sir, you did

16 MR. BALLARD: The answer to that would be no

17 MR. TYLER: Why not, sir?

18 MS. BRADSHAW Why we can't get it?

19 MR. BALLARD: Let me answer The answer would be no This -- we are going to be
20 providing the RAB the first revision of every draft document that comes
21 in, so that we can develop it from here on CD ROM The RAB will have
22 the opportunity before the document is final to review that document If
23 you have comments that you want to make, you are welcome to provide
24 them I'm sure you wouldn't be at all shy about doing it But in terms of
25 this -- the on-line document review, that's a -- that's an internal review
26 process It's password protected, and I guess that's just -- nothing I can say
27 probably will satisfy you

28 MR. TYLER: You just said it's internal

29 MR. BALLARD: It's an internal process

30 MR. TYLER: Thank you, sir

1 MR. DEBACK. If I can respond further to that, Mr. Tyler. That document in the state that
 2 it's in is a document that's being developed. It's not a document that's
 3 ready for review by anybody. They're actually formulating the document.
 4 The first revision that's -- and this is a change for us. We are going to
 5 provide the RAB the first revision of those documents. It's still not a final
 6 document. It's a major change in policy, but what it allows the RAB to do
 7 is to get an early look at the document as it's progressing. Hopefully if
 8 there is something that they see that we have overlooked, they would tell
 9 us, and so that when we do the final revision, we can accommodate those.
 10 The other thing that it will do for the RAB is make that document
 11 available for a longer period of time. This availability will be in addition
 12 to the 30-day Public Comment Period for those documents that require a
 13 30-day Public Comment Period.

14 MR. TYLER. Thank you.

15 MR. BALLARD. I would just like to thank Mr. DeBack for giving a much better and more
 16 customer friendly answer than I gave.

17 MR. TYLER. You're straight.

18 MR. WILLIAMS. Okay, I guess we can move right along.

19 MR. BRAYON. One very small -- Brayon. One small point on that. Mr. DeBack, could
 20 you send it to us before the RAB meeting?

21 MR. DEBACK. We will make every attempt to do that.

22 MR. BRAYON. It would be better if we read it, and then we can comment on it rather than
 23 sit here.

24 MR. BALLARD. One thing about your comments. Turpin Ballard. When we were talking
 25 about forward schedules today, and we were talking about, you know,
 26 ways -- best way and time to get, you know, the first revision to the RAB.
 27 Again, based on the schedule as we see it now and the review and revision
 28 cycle as it's presented, the first revision is currently due out, like, the week
 29 after Thanksgiving. Well, the RAB meeting -- the RAB doesn't usually
 30 meet in November and December. We were going to propose that there
 31 would be a RAB meeting November 15th, the usual third Thursday, but on

1 November 15th so that -- and the document probably wouldn't be ready
2 for release at that time. We would be sort of presenting a briefing, an
3 overview of the document, which you would then be receiving the
4 following week, would have throughout the entire -- until January to look
5 at and then could come back You know, and January could be used --
6 sort of devoted to question and answer about the document

7 MR. WILLIAMS: Would anyone like to make a motion on that -- make a motion that we
8 have a meeting in November so that we may be able to receive this or
9 would you just like to receive it in the mail? Go ahead, Mr Tyler

10 MR. TYLER I know it's going to be very unpopular I would like to make a motion that
11 we have a RAB meeting November 15th for the third Thursday at the
12 customary time, at, what, six o'clock.

13 MR WILLIAMS: Could I get a second?

14 MS YOUNG. I second

15 MR WILLIAMS: All in favor?

16 THE BOARD "Aye "

17 MR WILLIAMS: Any opposed?

18 (Brief pause)

19 MR. WILLIAMS Any abstained?

20 MS YOUNG Mondell?

21 MR WILLIAMS Yes

22 MS YOUNG Last year or the year before it seems like every November we have some
23 sort of meeting to update the Board on things that are going on Last year
24 we had one and we just got it in the mail We didn't have to vote on it, and
25 most of the people did come I think Alma presented something and
26 brought a lot of community people last year, and it was enjoyable, it really
27 was. So next year let's don't plan to -- you know, like people won't show
28 up if you're going to make them come. You know, they'll come Just say
29 you're having a call meeting This will be presented We're all adults
30 here.

1 MR. DEBACK: Please recognize that in this November meeting we will give a
 2 presentation, an overview, of that revision that you will receive probably,
 3 hopeful, the following week. It won't be ready -- the revision itself will
 4 not be ready at that meeting.

5 MR. WILLIAMS. Jim Morrison?

6 MR. MORRISON. I just wanted to make a follow-up comment on what John said earlier
 7 about the shift as far as disseminating information to the RAB. This came
 8 about primarily because of RAB members and specifically because of you
 9 Like I say, the BCT is listening to your concerns out there
 10 Previous to this, comments have been made that we'll give you a
 11 document, but all the decisions have been made already This is our
 12 attempt to say that we want your input and we value your input It was
 13 from your voices out here that this shift as far as disseminating documents
 14 early occurred

15 MR. TYLER. Thank you

16

17 **PUBLIC COMMENT PERIOD**

18

19 MR. WILLIAMS All right, with no more questions, we'll move right along to the Public
 20 Comment Period So if anyone would like -- in the public would like to
 21 make a comment, please do so State your name and your address and
 22 speak sort of clear for the transcriber

23 MS BRADSHAW. Could I say something before the public comment, please?

24 MR. WILLIAMS Go ahead, Ms Bradshaw

25 MS BRADSHAW Doris Bradshaw This is to Turpin Ballard From the information that we
 26 got today about the groundwater contamination, it's been out there that the
 27 VOCs has been on Rozelle since -- you knew about it since 1997 My
 28 question, again, is why those people have not been moved off that
 29 depressed third world looking street?

30

1 I feel like EPA has not done their job as far as looking out and protecting
 2 people's health. Because VOCs is one of the most dangerous compounds
 3 that EPA knows about I'm surprised that a Risk Assessment had not been
 4 made earlier There are people over there that has actually, literally died
 5 out. I want to know why EPA, supposed to be the regulatory agency, did
 6 not do something about those people?

7
 8 ATSDR (Agency for Toxic Substances and Disease Registry) knows
 9 about this, too, of that -- the plume leaking off the site. It's time for you-
 10 all to do something about those people and immediately. Because next
 11 week I'm going to be on the phone, and I'm calling some higher
 12 headquarters, and I'm going to report this action. This is a crime This is a
 13 crime. This is criminal, and I'm going to give you a week to respond, and
 14 after that, I'm going further

15 MR. WILLIAMS All right, we'll move on back to the comment period, Public Comment
 16 Period Would anyone like to make any comment? If not, we'll move ---

17 MR. DEMETRIO I have a question for Mr Offner The topic came up of the poisons being
 18 in the air inside people's houses, and Mr Offner mentioned that there was
 19 a Risk Assessment done based on modeling Of course, anytime modeling
 20 comes up, you have someone like President Bush say, "Well, that's not
 21 good enough That doesn't really prove anything." So what I'm wondering
 22 is are there going to be any real measurements done of these things and
 23 not just modeling? And I think it's an important question because, like,
 24 the same thing sort of happens over and over Like with the ATSDR, they
 25 did a document that was called a Public Health Assessment, and they
 26 never assessed anybody's health

27
 28 So what we see is these agencies, again and again, they are hiding behind
 29 these bureaucratic procedures, and they're using standards that are defined
 30 by a political process to decide what's an acceptable risk and what isn't
 31 Nobody has ever really addressed the problems -- the health problems of

1 the people in the community, and the people who used to work at the
2 Depot and what needs to be done about that So I don't know if Mr Offner
3 is still here, but I wanted to ask him that question

4 MR. OFFNER. I'm still here The question that was directed to me is concerning the
5 indoor air quality, and the Risk Assessment is being prepared right now
6 You know, I was talking a little bit about the preliminary results that we're
7 seeing We're using the EPA risk protocol for determining whether or not
8 the risks are -- safe, unsafe risks exists based on looking at the depth of the
9 water, the amount of soil column and then the contaminants that we see,
10 both what the types of contaminants are and how they can go through 80
11 feet of soil and become an indoor air issue

12
13 On other sites there are issues where the groundwater is five or six feet
14 Turpin can chime in on this from the EPA's position. This is growing
15 more and more. But right now in the Risk Assessment we are running the
16 model to see what the initial risk calculations are at this time

17 MR. BALLARD I'll add to that Turpin Ballard As Steve alluded, the whole issue of
18 transfer of contaminants from groundwater to indoor air is an evolving
19 area of concern for EPA. In fact, it was when we started seeing the
20 concentrations in the off-site plumes and where they were located that it
21 was me that said, "You know, we need to assess for the Risk
22 Assessment " You know, a current exposure pathway to a resident living
23 under the plume. There is sort of a screening process, and the first step in
24 the process is to use a model, which has inherently conservative
25 assumptions or health protective assumptions If under that model you
26 exceed your -- you know, sort of your threshold risk criteria that would be
27 an indication that you need to go in and take direct measurements in order
28 to see whether your -- your conservative assumptions of your model prove
29 out to be, you know, real under real-time measures
30

1 In the cases we're seeing -- in the Risk Assessment under development, the
2 results of the model indicate that the risk under several different indoor air
3 transfer scenarios is below the threshold where we would feel compelled
4 to go in and take those direct measurements. It's sort of a two-stage
5 process, a screening process to see if you have a reason to go further and
6 take more direct measurements, and if you do, then you take the next step.

7 MR. DEMETRIO. So if I understand the answers, no one has committed to do any actual
8 measurements inside people's houses.

9 MR. BALLARD. That would be correct.

10 MR. WILLIAMS. Anymore public comments?

11 MS. BATES: I have one. Betty Bates. I was told to bring this to the public -- I was told
12 to bring this question for the public comment for Mr. DeBack. Now, Mr.
13 DeBack, some police officers out at the base are having health problems,
14 and they feel like they are directly related to their little stay or term while
15 they are there. They wanted to know if you can give them any information
16 as to how they can get some help or is it any monitoring that's being done
17 as far as people out there working, their health is concerned. They would
18 like for you to address that to them.

19 MR. DEBACK: You are talking about city police officers?

20 MS. BATES. Yes.

21 MR. DEBACK. They're city employees, and if there is an issue out there, they should raise
22 that to their -- we don't have any ---

23 MS. BATES. They wanted it documented that the question was brought to the RAB and
24 that it was directed to you.

25 MR. DEBACK. Okay, it's the first I have heard of it, that anybody is having a health
26 problem. I certainly am not aware of any documented health problems out
27 there. And, again, I can't speak for the city. I don't know, you know, what
28 their process is if they have an employee that gets sick on the job. I know
29 if it was a federal employee that they would go through the process that
30 you are very familiar with, of filling out the forms with the occupational
31 health.

1 MS. BATES. Can nothing be done?
 2 MR. DEBACK We don't know that there is a problem
 3 MS. BATES Can nothing be done?
 4 MR. DEBACK. I'm sorry?
 5 MS. BATES: Can nothing be done? I can attest that nothing was done for the former
 6 employees But there are employees that are here now that are having
 7 problems that they feel like are directly related They feel strongly about
 8 it.
 9 MR. DEBACK. I would suggest they go see somebody in the public health department. I
 10 can't do anything as the federal site manager It is a health issue I'm not
 11 qualified to address health issues, but I can make a referral. If they want to
 12 come over and talk to me, I will certainly make a referral
 13 MR. WILLIAMS: Anymore public comments?
 14 (Brief pause)
 15

16 **RAB COMMENT PERIOD**
 17

18 MR. WILLIAMS: If not, we will move to the RAB Comment Period
 19 MS. BRADSHAW I just want to make ---
 20 MR. WILLIAMS. You're recognized, Ms Bradshaw
 21 MS. BRADSHAW I just want to make one more statement The chemical warfare materiel, I
 22 would like a report, from the cradle to the grave I want to see the report,
 23 the name of the company it went to and the process itself, where it was
 24 moved from, where it went to, where it died And I say I want -- I want to
 25 see a report I want to see this in writing I don't want nobody to tell me,
 26 and I know you-all did talk about that
 27
 28 And also there are some issues -- who is Jim -- Jim Morrison? You? The
 29 state of Tennessee did not sign off on that -- the removal, and how in the
 30 world did the state allow these people to start removing soil from that

1 ground without a -- to an unapproved dump site? That's -- I don't
 2 understand that.

3 MR. DEBACK Before Jim answers, I would like to answer your first request, Ms
 4 Bradshaw There is a report that's being prepared that's due around
 5 October

6 MS BRADSHAW. Okay

7 MR. DEBACK And that report will be made available to the RAB

8 MS BRADSHAW From the cradle to the grave?

9 MR DEBACK. It's a complete report on the work that we did. It's not a draft

10 MS. BRADSHAW: And I want to know if the state -- if you-all sampled all the soil that left
 11 there for everything the state actually sampled for. Okay, Jim

12 MR. MORRISON Okay, Jim Morrison That is currently under investigation with the state
 13 of Tennessee Right now we don't have anything concrete to tell the
 14 public. When that is completed, that will be public information But, right
 15 now we're just -- we're in the beginning phases of trying to resolve this
 16 We're hoping that it's going to be resolved soon

17 MS BRADSHAW: I'm going to ask the state legislator for this district to step in so you can
 18 turn the information over to her

19 MR WILLIAMS. Mr Tyler? Excuse me. Mr Tyler?

20 MR TYLER One quick comment I was given a Dear-John letter about my access to
 21 the web page. I was told no way, no how, waste of time However, is
 22 there an appeal process beyond that person who gave me that rejection
 23 letter? And then my last comment is, I would like to thank the committee
 24 members and the public for coming out under these trying circumstances I
 25 respect you for staying and trying to conduct this important business

26 MR DEBACK I'm not aware of an appeal process, but I certainly will ask some questions,
 27 and if there is another level that you can go to, I will make that available
 28 to you

29 MR TYLER. Could you get me the name, address?

30 MR DEBACK Yes, I will

31 MR TYLER And a 1-800 number, sir, will greatly be appreciated

1 MR. DEBACK If I am not able to give you a 1-800 number, I will make a phone available
 2 to you

3 MR. TYLER Thank you, sir Make a motion to adjourn

4 BOARD MEMBER Second

5 MS. MOORE I'm in school and I have a class I had to go to for just a little while So I
 6 appreciate everybody coming and staying tonight Also, I want to thank
 7 Mr. Odell Sanders. Mondell said that he introduced Odell Sanders Did
 8 you ---

9 MR. WILLIAMS No, no, no.

10 MS. MOORE Odell Sanders? I thought I saw him in the room, the owner of this facility
 11 This is where we will have the rest of the RAB meetings It's a wonderful
 12 facility. The power went off and he did not have anything to do with that
 13 It has been like that all down Elvis Presley. So it's a power problem I just
 14 wanted you-all to know that if you like the place, fine. I think it's a
 15 wonderful location That's the situation tonight

16 MR. WILLIAMS. Go ahead mister ---

17 MR. TRUITT. Ulysses Truitt For the benefit of all of those who have these dire
 18 concerns about the contaminants in the community, Mr. Sanders and I
 19 worked for months to get the auto parts place that has dumped hundreds,
 20 thousands of gallons of oil, antifreeze and what have you, and not one
 21 person in here is really concerned about contaminants, ever even noticed
 22 the building Just look at it when you head out the door

23 MR. BRAYON. Brayon. Point of order. We have adjourned.

(Whereupon, at approximately 8 05 p m the meeting was adjourned)

NEXT MEETING THURSDAY, AUGUST 16, 2001

6 00 P M

Attendance List

Restoration Advisory Board Members

| | |
|-------------------------|--|
| Mr Mondell Williams | Community Co-Chair |
| Mr. John DeBack | Interim Facility Co-Chair |
| Ms Elizabeth Young | Citizen Representative |
| Mr Turpin Ballard | Environmental Protection Agency |
| Mr Dave Bond | Citizen Representative |
| Mr. Jim Morrison | Tennessee Department of Environment and Conservation |
| Atty. Reginald Eskridge | Citizen Representative |
| Mr James Webb | Civic Representative/Memphis Light, Gas and Water Division |
| Mr Ulysses Truitt | Citizen Representative |
| Ms Johnnie Mae Peters | Citizen Representative |
| Mr Eugene Brayon | Citizen Representative |
| Mr Stanley Tyler | Citizen Representative |
| Mr Jim Covington | Depot Redevelopment Corporation (DRC) |
| Ms Doris Bradshaw | Environmental Representative (DDMT-CCC) |
| Ms Diane Arnst | Memphis/Shelby County Health Department |
| Mr Norm Lachapelle | Memphis/Shelby County Health Department |
| Ms. Betty Bates | Citizen Representative |

Others in Attendance

| | |
|---------------------|--------------------------|
| Ms Alma Black Moore | Frontline Communications |
| Mr Trevor S Diggins | Frontline Communications |

| | |
|---------------------|---------------------------------------|
| Ms Adrienne Hill | Frontline Communications |
| Mr Virgil Jansen | Jacobs Engineering |
| Mr Clyde Hunt | Corp of Engineers - Memphis |
| Mr Benjamin Moore | ATSDR Regional Representative |
| Mr Michael Dobbs | Defense Logistics Agency/DDC |
| Mr Daniel Welch | HQDLA/DSS-E |
| Mr John Whiting | Corps of Engineers-Mobile |
| Mr Steve Offner | CH2M Hill |
| Mr. Earl Edris | Corps of Engineers-ERDC-WES |
| Mr Greg Parker | Memphis/Shelby County Health Dept. |
| Ms Dorothy Richards | Corps of Engineers-Huntsville |
| Mr David Nelson | CH2M Hill |
| Dr John B Kirkley | Memphis/Shelby County Health Dept |
| Mr Kraig Smith | Jacobs Engineering |
| Ms Denise Cooper | Citizen |
| Mr Ira Franklin | Citizen |
| Ms Rubye Franklin | Citizen |
| Ms Vanessa Daniels | Applied Research Center – Oakland, CA |

FINAL PAGE

ADMINISTRATIVE RECORD

FINAL PAGE