

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at
Building 215, Fort McClellan, Alabama, on the 12th day
of February, 2001, commencing at approximately 6:30
p.m.

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-68
CERTIFICATE	69-70

1 DR. BARRY COX: If everybody wants
2 to take their seats, we'll go ahead and get started.
3 I wanted to welcome all of our visitors here tonight.
4 And what I would like to do is start this side of the
5 room and, if you would, please, introduce yourself
6 and, if you would, tell us where you're from.

7 MS. LISA KINGSBURY: Lisa
8 Kingsbury, Fort McClellan environmental office.

9 MR. ELLIS POPE: I'm Ellis Pope
10 with the Corps of Engineers from Mobile.

11 MR. JOE DOYLE: Joe Doyle, legal
12 office here, transition force.

13 MR. JOSH JENKINS: Josh Jenkins,
14 IT Corporation.

15 MR. COPEN (phonetic): Dan Copen,
16 Huntsville Corps of Engineers.

17 MR. STEVE MORAN: Steve Moran, IT
18 Corporation.

19 MS. JOAN MCKINNEY: Joan McKinney,
20 the RAB coordinator.

21 MR. PAUL JAMES: Paul James,
22 environmental office here at the transition force.

23 MAJOR JIM MORRISON: My name is

1 Major Jim Morrison, I'm the executive officer of the
2 transition force.

3 MR. BILL SHANKS: Bill Shanks, Fort
4 McClellan environmental office.

5 MR. DAVID HORN: I'm David Horn.
6 I'm the videographer with Noble & Associates.

7 MS. ELIZABETH (inaudible):
8 Elizabeth, Anniston Star.

9 MR. A. C. YOUNG: A. C. Young.

10 MS. WANDA CHAMPION: Wanda
11 Champion.

12 MR. BOB ROBINSON: Bob Robinson,
13 subbing for Miki Schneider from the JPA.

14 DR. BARRY COX: We appreciate all
15 the visitors coming. If I may, let me explain the way
16 that we conduct our meetings. We have set aside at
17 the end of the meeting a time when any visitors can
18 make comments relative to the activities of the RAB
19 and can ask any questions. Up until that time, we'll
20 hold the questions to those members of the RAB.

21 Roll call. Mr. Hood?

22 MR. RON HOOD: Here.

23 DR. BARRY COX: Mr. Beckett?

1 Mr. Branchfield?

2 MR. CRAIG BRANCHFIELD: Here.

3 DR. BARRY COX: Mr. Buford?

4 MR. JAMES BUFORD: Here.

5 DR. BARRY COX: Mr. Conroy?

6 MR. PETE CONROY: Here.

7 DR. BARRY COX: Mr. Cunningham?

8 MR. DON CUNNINGHAM: Here.

9 DR. BARRY COX: Mr. Elser?

10 MR. JEROME ELSER: Here.

11 DR. BARRY COX: Ms. Fathke?

12 MS. DONNA FATHKE: Here.

13 DR. BARRY COX: Dr. Harrington?

14 DR. MARY HARRINGTON: I'm here.

15 DR. BARRY COX: Mr. Hopper?

16 MR. JERRY HOPPER: Here.

17 DR. BARRY COX: Mayor Kimbrough?

18 Mr. Thomassy?

19 MR. FERN THOMASSY: Here.

20 DR. BARRY COX: Welcome back.

21 Mr. Turecek? Mr. Levy is absent. Mr. Brittain?

22 MR. DOYLE BRITTAIN: Here.

23 DR. BARRY COX: Mr. Stroud?

1 MR. PHILIP STROUD: Here.

2 DR. BARRY COX: Mr. Golden?

3 MR. SHANNON GOLDEN: Here.

4 DR. BARRY COX: Has everybody had a
5 chance to review the minutes from the last meeting?

6 MR. RON MASSEY: Let me say that
7 everybody has a new set of minutes at their -- we made
8 a couple of changes to the minutes that you received
9 in the mail. The changes were, you know, a spelling
10 error or something like that, but the content's the
11 same, there was just a couple of editorial
12 corrections.

13 MS. JOAN McKINNEY: We changed the
14 format on the top of the page, if you'll notice, and
15 there was a couple of spell errors that still spell
16 check thought was right. But in any event, no content
17 was changed, no other information was changed. It was
18 merely editorial, administrative.

19 DR. BARRY COX: Do I hear a motion
20 that we approve the minutes?

21 MR. PETE CONROY: So moved.

22 DR. BARRY COX: A second?

23 MR. JAMES BUFORD: A second.

1 DR. BARRY COX: All in favor?

2 (Motion carried.)

3 DR. BARRY COX: Under old business,
4 the next meeting we'll have at Jacksonville State
5 University on the 11th floor of the library. Anybody
6 need directions to get to the library? Tallest
7 building in town.

8 Next we'll go to the briefing on
9 the ground water contamination related to landfill
10 three, Major.

11 MAJOR JIM MORRISON: Let me get
12 things set up.

13 DR. BARRY COX: And while he's
14 doing that, any of you audience members that have an
15 interest in the RAB and would consider being a member,
16 we do have at least one opening on the Restoration
17 Advisory Board. Isn't that correct, Joan, we have one
18 and probably one more coming up before too long?

19 MS. JOAN MCKINNEY: That's correct,
20 we have one vacancy coming up. We have two new
21 members coming on at the next meeting, but that still
22 leaves us with one vacancy. And so if you have anyone
23 or if you hear are interested in joining, we would

1 like to bring you on board if we could. We'll get an
2 application to you.

3 DR. BARRY COX: So, anybody, if
4 you're interested, if you would, please, see Joan
5 after the meeting, we'd love to have you. Major.

6 MAJOR JIM MORRISON: Ron, if you
7 would, go ahead -- can they all stand on the easel and
8 just have the -- have I got them in order?

9 MR. RON MASSEY: You've made them
10 in order.

11 MAJOR JIM MORRISON: Yeah. I
12 would like to introduce myself. I'm relatively new,
13 standing up in front of the RAB, as a matter of fact,
14 very new. My name is Major Jim Morrison and I'm the
15 executive officer of the garrison. I wear many hats.
16 And one of the things I do is public affairs, very
17 little, but I do some.

18 I'm standing up here tonight. Ron
19 is sick. He got the flu pretty bad, couldn't make it
20 tonight, so we put together a little update briefing
21 on the landfill three and the potential for ground
22 water contamination.

23 I'm going to talk to some bullet

1 slides in the back. I've got some map charts that
2 show a little bit of detail. They're kind of hard to
3 see. But we've played this and tried to figure out
4 which end of the room was best. When we get down to
5 it, if you have any specific questions, I'll have Ron
6 point out anything that you might have a question on.

7 In the course of my talk, if you
8 have a question, I'll stop and, please, stop me and
9 we'll try to answer the question as we go through.

10 Good Armyese, we always have to
11 have a purpose slide. Two things, we'll just update
12 the RAB and the people here and we'll touch on some of
13 the history, also, to bring you up to speed on where
14 we've gone since the last RAB in discussing what we're
15 calling an off-site-well-installation work plan.

16 And in that process, in discussing
17 with the BCT, we've taken on looking at domestic water
18 sampling, domestic well sampling, municipal well
19 sampling, and lastly, the installation of additional
20 wells in the Weaver area outside of landfill number
21 three. And later on we'll get to that. And they're
22 plotted on the map board back there in the back of the
23 room.

1 A little history. The landfill was
2 closed in 1967, operated from 1946. In 1986, the Army
3 had five wells installed on post to determine what
4 contamination was there.

5 A little time after that, the Army
6 contracted to have IT do remedial investigation, which
7 went on for, culminating in it the installation of an
8 additional number of wells. And some of those wells
9 were put off post, two of the ones that we're
10 concerned about; one is in the median of Highway 21,
11 just adjacent to landfill three, it's well number
12 twelve, which I'll pretty much focus the rest of my
13 talk to; and well number seven, which was basically on
14 the installation, but just outside the fence line.

15 The first of those tests did
16 determine that there was off-post contamination. And
17 I'll show you more on that.

18 After that, we developed the need
19 to have a long-term monitoring plan for all three of
20 the post landfills. I said all three, but landfills
21 number one, two, and three.

22 And then the recommendation of that
23 long-term monitoring plan, well, landfills number one

1 and two needed no further action, but landfill three,
2 contractor made three recommendations to the
3 government. Well, excuse me, one recommendation and
4 three alternate courses of action.

5 And their recommendation was that
6 the Army would proceed with further geologic studies
7 because of some anomalies in the geology, which was
8 discussed last time in the RAB, that gave us some fits
9 with predicting and showing where ground water was
10 going and where it wasn't going.

11 So, at this point in time, we have
12 on the back again, I'll show on the maps, proposed
13 locations for additional wells off the installation.
14 And we may need -- as we go down the road discussing a
15 schedule, we'll probably need some help in trying to
16 get the folks who own the property that those proposed
17 wells are on to see if they'll let us dig or put those
18 wells in for off-site ground water monitoring.

19 That brings us up to date. Kind of
20 approached this when I put it together as what we
21 know, what we need to know, and where we're going with
22 this. So, on what we need to do now: We know there
23 is contamination, we know specifically that number

1 twelve, well number twelve, in the middle of Highway
2 21, that the levels of chlorinated volatile organic
3 compounds exceed the site-specific screening levels.

4 And we also know from presentations
5 made that Weaver's wells, as tested by them, by Weaver
6 last summer, were not contaminated. So, the best
7 information we have now, there is no contamination at
8 that well.

9 Because of the lack -- there aren't
10 anybody -- none of the public drinking water from the
11 wells, that all the water is from the city systems,
12 there's no direct path, so we consider the threat or
13 the risk to the public to be very, very -- there to be
14 no risk and no eminent threat to life safety or the
15 environment.

16 Just as a bottom note there, the
17 soil type in the area is clay. And if you were going
18 on the soil type alone, the transmission rate is .05
19 feet per day. You can see, that boils down to moving
20 from -- potentially, moving from a landfill about six
21 hundred and twenty feet over a thirty-four year period
22 since the landfill was closed. Now, that's if all
23 conditions were perfect and it moved through the

1 ground at a very consistent rate, which it doesn't do.

2 The other thing that may impact
3 this is again, the geology, which is why we're here,
4 and we're trying to figure out -- have looked at what
5 the geology is and where we need to go.

6 The RAB hasn't, I don't believe,
7 seen this before. This is the results for the two
8 tests that were conducted, one in April 1995 and the
9 other one in March of 199- -- February 1998.

10 This is adjusting well number
11 twelve. What it tells us is that the levels did
12 increase. But again, there is no exposure pathway,
13 meaning that there's nobody going to be drinking from
14 those wells.

15 MR. RON HOOD: How do you explain
16 the factor of about fourteen increase in under three
17 years, when you're talking about a flow rate that is
18 -- it shouldn't have happened. What's your
19 explanation for that tremendous increase in the --

20 MAJOR JIM MORRISON: I'm going to
21 take a shot at it. And I've got some technical
22 expertise back there that might help me through that.

23 MR. RON HOOD: It would seem your

1 flow rate is considerably higher than what you're
2 projecting.

3 MAJOR JIM MORRISON: The problem --
4 yeah. But the problem is that that's part -- four
5 hundred parts per billion.

6 MR. RON HOOD: True, but it still
7 increased fourteen in less than three years.

8 MAJOR JIM MORRISON: The problem is
9 that over a period of time, we don't have the
10 day-to-day monitoring that would tell us exactly what
11 that flow is. And that may represent a blip or it may
12 be a continuous rise.

13 The important thing is, is that we
14 know that there is contamination. And what we're
15 saying is, is that regardless -- okay, I understand
16 that the rates that that level went up, but is there a
17 threat to the safety, is there a threat to the public,
18 is there a threat to the environment?

19 We know that there are heightened
20 levels and we know we need to do something. We know
21 we need to watch it real closely and come up with a
22 plan, which is where we are now.

23 So, I guess to try to answer the

1 question directly is that even though they have --
2 they increased over that level, the amount of data
3 doesn't necessarily say enough to make a
4 determination. And the other piece is, what we
5 believe is, we need to watch it more closely and
6 suffice that that's where we need to go.

7 Any help. Doyle? Talked around
8 it. Probably didn't hit it.

9 MR. DOYLE BRITTAIN: My name is
10 Doyle Brittain. I'm with U. S. Environmental
11 Protection Agency.

12 We talked about this this
13 afternoon. You only have two data points, and that
14 does not give us enough information to determine what
15 the trend is, as far as the ground water movement in
16 that area. And that's one of the reasons that the

17 Major is going to show you in a few minutes where
18 we're going to be putting in some additional wells and
19 going back out and doing some additional monitoring,
20 even of the existing wells.

21 The things that we are looking for,
22 those chlorinated compounds up there, are what we call
23 DNAPLS, dents, non-aqueous phase liquids. Translated,

1 what that means is: They're more dense than water, so
2 they'll sink. And we compare those with other things
3 that we call LNAPLS. And that is ladder non-aqueous
4 phase liquids. Or those are the floaters. That would
5 be -- the floaters would be things like gasoline, if
6 you had a leaking gas tank from a gas station. The
7 chlorinated solvents would be the things that would go
8 down to the bottom of the water. And they would form
9 pools down there at the bottom of the water, wherever
10 there is a place that they could collect.

11 One of the things that we're trying
12 to determine now is: Is this a constant movement of
13 these chlorinated compounds or these DNAPLS from the
14 landfill over to these wells. And that is one
15 possibility.

16 The other possibility is that these
17 have been there for a long time, about thirty years or
18 more. Chances are, that if they move, they would have
19 moved probably some time earlier. So, one good
20 probability is that they are trapped in little pockets
21 there. And if you have an increase in water flow,
22 that it would be like flushing a toilet; you would get
23 a slug of this chlorinated solvents moving through the

1 area. And that is just one possibility, but that
2 might be what explained why you got the higher reading
3 the second time than the first time.

4 We can't give you a concrete answer
5 tonight saying, what is the reason that you did get
6 the higher reading one time than the other. Those are
7 just two of the possibilities. But by doing the
8 additional monitoring that the Major is fixing to talk
9 about in just a few minutes, it will help us to get a
10 handle on that and to answer the very question that
11 you're asking.

12 MAJOR JIM MORRISON: I won't go
13 into that slide. I think Doyle, Mr. Brittain, covered
14 that fairly well.

15 That took us to where we needed to
16 go, what we needed to find out. And we're close to
17 having a plan that's approved by the BRAC cleanup
18 team. And that would take us to figuring out what the
19 extent of the contamination is, how deep, what levels
20 are the contamination in, and what direction they're
21 going in.

22 So, by putting in these additional
23 monitoring wells, I believe we should pretty well have

1 all the bases covered as to surface and subsurface and
2 down to the bedrock levels of what the ground water
3 movement is in that area.

4 So, at this moment in time, with
5 that information, we go out and put these additional
6 wells in, that will help us to be able to characterize
7 and answer that last question; is there a plume and
8 how do we characterize it. And I put "plume" in
9 quotation marks because of the geology in the area; it
10 may be a piping action in a fissure or a crack in the
11 geologic formation, in which case it would move very
12 rapidly through an area. And that's what these wells
13 would help determine.

14 Real quickly, we talked through
15 some of the well locations with the BCT last week and
16 the beginning of this week, today. Through
17 discussions with the BCT, we'll also pick up
18 monitoring -- excuse me, not monitoring, but
19 monitoring, installation of new wells, and monitoring
20 those wells, and also, taking some samples in both
21 domestic, private wells, and municipal wells that we
22 are going to go out and pull samples, once we get
23 permission from individuals who own the private wells

1 in the City of Weaver to take water samples and
2 conduct a thrust test on those water samples. That
3 will help us get -- again, to define the nature and
4 the extent of the contamination.

5 And what I also want to talk about
6 is the timelines of when we're proposing to begin
7 this. Essentially, we plan on beginning this as soon
8 as possible. Once -- go ahead, Ron, pull that up,
9 would you, please.

10 I don't think we've actually had a
11 start date, yet. Once the BCT gives final approval,
12 which we've all pretty well discussed it, so within
13 the next week, I would think, would give me --
14 initiate the plans to begin this execution.

15 You see the whole timeline is about
16 twenty weeks. Steve, Ellis, I'm not sure who made the
17 timeline up. Fingering somebody. But if there is any
18 questions, they would be better than me to answer the
19 questions on the timelines.

20 MS. DONNA FATHKE: You had
21 mentioned earlier that there was no threat to the
22 health because there were no private wells, but you
23 just mentioned that you will be taking samples from

1 some private wells.

2 MAJOR JIM MORRISON: Uh-huh.

3 MR. DOYLE BRITTAIN: Can you repeat
4 the question, Major?

5 MAJOR JIM MORRISON: Pardon?

6 MR. DOYLE BRITTAIN: Can you repeat
7 the question?

8 MAJOR JIM MORRISON: Her question
9 is: I have said there is nobody on the local wells --
10 and may need to clarify that -- but the wells, I've
11 said that there is no threat to the public, because
12 there's nobody drinking water from the wells. But,
13 yet, I've said we're going to go out and take samples
14 from Weaver's wells and also the private wells. It's
15 our belief that, number one, that of those private
16 wells around there, they're not using for drinking,
17 they're used only for watering.

18 Now, Weaver's wells are 1.7 and 2.1
19 miles away. At this point in time, based on the
20 results of the tests that we had before, we don't
21 believe that there is any contamination, based on the
22 last summer's test results. What we'd like to do is
23 to confirm that now. Is that --

1 MS. DONNA FATHKE: Uh-huh.

2 MAJOR JIM MORRISON: So we can say
3 today, with a fresh look, you know, validating what
4 I've said here.

5 On the timelines, our biggest
6 headache, our biggest concern is, we've experienced in
7 this last year, with trying to put in boring wells to
8 take boring and core samples to determine the geology,
9 had a lot of resistance from private land owners about
10 putting these boring wells on their property. So,
11 we're not sure how long that process is going to take
12 to get permission from local owners to try to put
13 wells in their -- on their properties.

14 So, if that went very smoothly,
15 within twenty weeks, as according to that schedule, we
16 should be able to complete, having two things done;
17 one, the test done on the local wells, and the second
18 thing is to get the wells in place, new water testing
19 wells, water monitoring wells, and have the results
20 back from those wells.

21 So, twenty weeks is about five
22 months. I'd say outside the end of August and
23 September, we should be fairly well along with --

1 complete with that process and be able to come back
2 and say with clarity where we are with that. Not that
3 we wouldn't discuss it in between time, but we would
4 pretty well have a final, knowing what's there, that
5 would lead us into an action of what to do about
6 potential ground water or ground water contamination.

7 Aside, alongside is a -- at the
8 same time, the engineering evaluation and cost
9 analysis on the landfill, itself, is drawing to a
10 completion. It's a separate action. But by the end
11 of the month, we should have a draft document in our
12 hands that the BCT can look at and make a
13 determination on the remedy selection for what we're
14 going to do with the landfill, itself, landfill number
15 three.

16 The ground water, itself, is being
17 handled -- it's kind of a, as a supplemental remedial

18 investigation, which will answer the questions that we
19 need to get answered so we can get a good fix and
20 determine if there is something else we need to do,
21 just besides whatever the remedy is in place for the
22 landfill.

23 That may or may not answer all the

1 questions for ground water. So, once we have the data
2 in for the ground water, we'll be able to close the
3 loop and I think have a complete plan, which will
4 answer all the questions and then clean up or do
5 what's necessary to ensure that there's no danger.

6 MR. PETE CONROY: When was the last
7 time the Weaver water was tested? We have here '95
8 and February '98.

9 MAJOR JIM MORRISON: That is only
10 the well number twelve in the median.

11 MR. PETE CONROY: Right.

12 MAJOR JIM MORRISON: It is my
13 understanding from the last RAB meeting that I think
14 the Weaver Water Board folks were here that said that
15 they tested it July or August last summer.

16 MAYOR WILLIAM KIMBROUGH: Yeah,
17 we've been testing it once a year, at least.

18 MR. PETE CONROY: When did the Army
19 test it last?

20 MAJOR JIM MORRISON: The Army has
21 not tested that well, to my knowledge. We've tested a
22 well owned by Mr. Medders, directly off the
23 installation. In 1995, Mr. Medders -- about the time

1 that we put the first monitoring wells in, Mr. Medders
2 requested that we test his water. And we did do that
3 and there were no significant levels, at that time.
4 That was about the August, I think, '95 time frame
5 that that test came in. And Ron is pointing to the
6 Medders' well --

7 MR. RON MASSEY: Here is landfill
8 three. And then the Medders' well, according to this,
9 is only about five, six -- well, it's just across the
10 road from landfill three, in a north-westerly
11 direction.

12 DR. BARRY COX: How deep is it?

13 MAJOR JIM MORRISON: I think --
14 I'd have to go back and look. Would you call it a
15 hundred, plus?

16 MR. ELLIS POPE: I think it's
17 somewhere between a hundred and two hundred feet, but
18 it's -- I believe it's also -- it's caved in. It's
19 not something that's being used for drinking water. I
20 think the well is caved. I believe the Weaver wells
21 were sampled at the same time back in '95.

22 MAYOR WILLIAM KIMBROUGH: I don't
23 know when, but I know y'all have --

1 MR. POPE: And I think SAIC had it
2 done.

3 MAYOR WILLIAM KIMBROUGH: --
4 because we requested it and y'all did.

5 MAJOR JIM MORRISON: In the stuff,
6 in the information I went through, I couldn't find any
7 reference to it, but I'll go back and look and see.
8 If there is something there, we'll put it in the
9 report.

10 At the risk of not trying to
11 confuse, at both ends, instead of everybody trying to
12 look at one end of the room to the other -- I think I
13 got them out of order. Sorry, Ron. This first slide
14 just located landfill three, where it is along Highway
15 21 in the northwest corner of the installation. If
16 you'll look -- and we're out of sync now.

17 MR. DOYLE BRITTAIN: That first one
18 in the front.

19 MR. GLYNN RYAN: You got it right
20 there in your hand.

21 MAJOR JIM MORRISON: Good rehearsal
22 always solves the problem. Sorry, we haven't
23 rehearsed it well enough.

1 This shows the locations of all the
2 on-post monitoring wells. I think some of this data
3 or these slides were shown with slight modification
4 from the last RAB meeting.

5 These are the two wells that came
6 up, indicating that the ground water contamination was
7 moving off post. This is number twelve in the highway
8 in the median. And number seven is just off -- on the
9 installation, outside the fence, I believe. And those
10 are the constituents of what was determined in that
11 test.

12 Put this together so you would get
13 an idea of again the position, where the different
14 wells are, the Medders' well is here, Weaver is 1.2 --
15 excuse me -- 1.7 and 2.1 miles, showing Cane --
16 Cave Creek and Cane Creek flowing in their direction.

17 We believe that when you're looking
18 at ground water flows, as I've learned today, that
19 ground water basically flows in the -- the ground
20 water will flow in the same basic direction in most
21 cases as surface water. So, you follow the drainage
22 areas. Which looking at that, gave us a location of
23 one of the wells.

1 As you see here, this slide
2 projects the locations of the proposed wells off the
3 post. This one, along Cave Creek, to determine, if
4 there is any carrying effect from the surface water
5 and the ground water, going in the basic, same
6 direction. And these other wells are here. And I
7 don't have the property owners' names of those in
8 front of me now.

9 If you're looking, you can also
10 look back there. You don't have to strain your neck
11 to see up front.

12 We may not get to all of the wells,
13 dependent on if the property owners do not allow us to
14 do that, and we can't make some sort of arrangement
15 with them, we've got a couple of well locations in
16 here that could be used as alternates. We may elect
17 to put all of them in, including the alternates.

18 You'll see on the slide that's in
19 the packet that there is an A and a B. And A was our
20 first choice. In other words, if we could put A in,
21 we may not put B in, but we've discussed that and we
22 may end up deciding in the final decision the BCT
23 would put them all in.

1 And that will help us -- what was
2 the term, Doyle, that we used for like --

3 MR. DOYLE BRITTAIN: Be what we
4 call sentinel wells, be like a guard; it basically
5 would tell us if there is any contamination that is
6 moving in the direction of the Weaver City wells long
7 before it arrives there and give us the opportunity to
8 do something, as far as cleaning it up, to keep it
9 from getting into the wells.

10 MAYOR WILLIAM KIMBROUGH: Will
11 these wells be a one-time thing?

12 MR. DOYLE BRITTAIN: They'll be put
13 in -- they'll be a permanent well and we'll leave them
14 there, as long as we feel like there is a need for it,
15 and then we'll abandon them. But they'll be sampled
16 as often and as many times as we need to, until we
17 feel comfortable with what the ground water flow
18 direction is.

19 There is a couple of theories on
20 that, and I don't want to get too much into that, but
21 there is a theory that because of the structure of the
22 rock on that side, that the ground water isn't really
23 flowing much past that highway, it's flowing back

1 underneath the landfill.

2 So, really putting these other
3 wells in over here is just kind of like the spare tire
4 in your automobile, it's just a precaution. If it is
5 in fact getting past this -- the geologists have a
6 name for it, that large rock that forms a wall there
7 to the left of the landfill, then it would be going to
8 those wells. And there is a good theory that it's
9 impossible for that ground water to get over that way.
10 But we just wanted to put those wells in just as a
11 safeguard just to check.

12 MAYOR KIMBROUGH: But theories are
13 theories, right?

14 MR. DOYLE BRITTAIN: You got to
15 check them out.

16 MAYOR WILLIAM KIMBROUGH: There is
17 always a probability.

18 MR. DOYLE BRITTAIN: Yeah, sure.

19 MAYOR WILLIAM KIMBROUGH: Whether
20 it's 1 percent or 100 percent.

21 MR. DOYLE BRITTAIN: And that's the
22 reason we're putting them in and that's the reason
23 we're checking them out.

1 MAJOR JIM MORRISON: Thanks, Doyle.

2 MR. RON HOOD: Could I ask one

3 more?

4 MAJOR JIM MORRISON: Sure, sir.

5 MR. HOOD: You were speaking of the

6 two wells that you think you found contaminants in and

7 you gave us the data for G-12, the two data points.

8 What were the two data points for the -- let me see,

9 what is it -- OLFG-7?

10 MAJOR JIM MORRISON: I probably

11 have them here, somewhere.

12 MR. RON HOOD: Did it also show an

13 increase?

14 MAJOR JIM MORRISON: Uh-huh.

15 MR. RON HOOD: That's not on one of

16 these slides.

17 MAJOR JIM MORRISON: I did not

18 include that on a slide. I don't have that in front

19 of me. I've got a chart, but I didn't capture that

20 particular --

21 MR. RON HOOD: Are you planning to

22 take more samples? It's been about three years since

23 you took the last. That would give you a darn good

1 line.

2 MAJOR JIM MORRISON: I don't have
3 an answer.

4 MR. ELLIS POPE: Yes.

5 MR. DOYLE BRITTAIN: Yeah, we'll do
6 G-7 and 12 at the same time we do all the others.

7 MR. ELLIS POPE: We'll do a
8 complete round.

9 MAJOR JIM MORRISON: The answer is,
10 yes.

11 MR. RON HOOD: How much did seven
12 go up? Did it go up by about the same factors or --

13 MAJOR JIM MORRISON: You're asking
14 me and I don't have the data in front of me right now.
15 And believe me, if I had it, I would tell you. I
16 neglected to pull that piece out of the report.

17 MR. JOSH JENKINS: It went up from
18 17 to 92, 17 PPB to 92.

19 MR. RON HOOD: We've got a good
20 size increase. I mean, we're talking small numbers,
21 but there is a big increase.

22 MAJOR JIM MORRISON: Yes.

23 MR. RON HOOD: That would concern

1 me because of the complex geology of this. You might
2 drill wells and might not see anything, but then
3 you've got one that all this is showing an increase.
4 And you see what it's done in the last three years.

5 MAJOR JIM MORRISON: I think the
6 general consensus for it is that continued monitoring
7 of those wells served -- the only purpose it served
8 was to continue compilation of a data base, as we knew
9 it was there. And again, we focused in on the most
10 important thing was, we know it's there. And that is,
11 as Mr. Brittain has said, that the number themselves,
12 only the two data points, and in some cases, three
13 data points, some were tested three times, did not
14 give us enough data to actually make an extrapolation
15 on whether that was a continuous increase or whether
16 it was a blip. What was important was, was that there
17 was contamination and we knew that we needed to watch
18 that and watch it carefully. I'm not satisfying your
19 --

20 MR. RON HOOD: No.

21 MAJOR JIM MORRISON: -- your need
22 for an answer?

23 MR. RON HOOD: You're not.

1 MAJOR MORRISON: Sir?

2 MR. FERN THOMASSY: That one chart,
3 this one that showed the two wells, seven and twelve,
4 as having identified contamination, also shows some of
5 your other wells that were in the median and some that
6 were east of the highway. Am I to infer from this
7 chart that the other wells showed no contamination
8 above some level --

9 MAJOR JIM MORRISON: Except for
10 number seven, yes, sir, on the ones off post. The
11 ones on post, which I didn't show, had different kinds
12 of contaminants, not in all -- in all cases were they
13 the same contaminants, in the same levels.

14 I had a piece of it. See, my --
15 the piece of the chart that I had only went back to
16 about one of the -- well number ten. Without going
17 through each one -- the only ones that came up above
18 the site screening levels were number twelve and
19 number seven in the off-post area, period.

20 MAYOR KIMBROUGH: Let me ask --

21 MR. GLYNN RYAN: One of the
22 important things, though, Jim, is part of these are
23 actually in the landfill. So, I mean, we expected to

1 find it there. It was more of a, this is what we're
2 looking for, not that it went outside of the landfill,
3 itself. As you notice, some of the wells there --

4 MR. FERN THOMASSY: Right.

5 MR. GLYNN RYAN: -- they were
6 actually drilled into the landfill.

7 MR. FERN THOMASSY: I was referring
8 primarily to those that are on the border or actually
9 off-post and in the median.

10 MAYOR WILLIAM KIMBROUGH: Last
11 meeting, we had the geological study. Now, if I
12 understood -- Mr. Brittain has said something
13 different about two different theories. But if I
14 understood correctly, the information that I took away
15 from here was that the fault line is going in our
16 direction; is that correct?

17 MAJOR JIM MORRISON: I think the
18 best picture that I saw showed the, if you will -- if
19 I could -- if my hands showed the relative angle of
20 the thrust fault, itself, the thrust fault runs at an
21 angle down back underneath the installation. And the
22 theory is that anything migrating in that direction,
23 any ground water migrating, hits that trust fault and

1 runs right back down underneath the installation. And
2 that's the theory that we're working on.

3 To prove the negative is the reason
4 for putting the wells in down here, because -- I'm not
5 sure what kind of test data is going to conclusively
6 indicate that. Josh, I don't know if I've said that
7 --

8 MR. JOSH JENKINS: Yeah, basically,
9 you're correct. It's like perpendicular, the fault
10 trace with the line of the fault, is pretty much
11 perpendicular to the road, Highway 21, is what we're
12 seeing now. So, the actual plane of the fault is
13 going underneath that landfill. So, if you draw a
14 line up there, just like along the road, Highway 21 --

15 MAJOR JIM MORRISON: The line of
16 the fault is along here and the plane of the fault
17 goes back under.

18 MAYOR WILLIAM KIMBROUGH: Did we
19 not say at the last meeting that it was going toward
20 our wells?

21 MR. GLYNN RYAN: No.

22 MR. PHILIP STROUD: No.

23 MAYOR WILLIAM KIMBROUGH: Well,

1 thank you.

2 MAJOR JIM MORRISON: Mayor
3 Kimbrough, what may be confusing is we have said that
4 based on these hydro -- hydrologic table, that the
5 ground water generally is moving to the west,
6 northwest in these different locations, moving in that
7 direction here and moving in the westerly direction
8 here. But again, it -- if in fact all that's being
9 intercepted by the thrust fault, the plane of that
10 thrust fault, it won't go very much further than
11 somewhere in this area before it comes back underneath
12 the installation. And a lot of that also depends on
13 what depth. And what Mr. Brittain was saying about
14 the DNAPLS is that they're heavy, so this stuff has a
15 tendency to want to go deep as soon as it can.

16 MAYOR WILLIAM KIMBROUGH: I'll be
17 quiet in just a second, but this concerns me. You
18 know, my concern was that if that water, if there is a
19 probability that that contaminant would get into our
20 wells, then I have a plan, you know, to provide water
21 for the citizens of my community.

22 And so, you know, that was my -- I
23 thought -- I thought I asked the question last time.

1 And I came away with a feeling that there might be a
2 small probability, but there is a probability, you
3 know, whether it's 1 percent or 100 percent, it's
4 moved thirty. And somebody talked about some
5 formations and which -- whatever, if it got into -- I
6 don't know if it was a --

7 MR. RON HOOD: Karst formation.

8 MAYOR WILLIAM KIMBROUGH: Anyway,
9 that it could move faster than it's moving at this
10 time. So, I've been operating the last four weeks
11 under the concept that I need to have something, just
12 in case -- and it might not ever happen, but just in
13 case that this did happen. Now, did I make the wrong
14 assumptions?

15 MR. DOYLE BRITTAIN: I've only been
16 here for about three months, working with this base,
17 but this particular environmental situation -- I mean,
18 this base is new to me, but the kind of work is not
19 new to me. I've done it for a number of years in
20 other places.

21 This is one of the first things
22 that was pointed out to me when I came here, was the
23 concern from the off-site migration of chlorinated

1 solvents from landfill three. I've dealt with this
2 kind of situation in other places and I've been
3 concerned with it. So, I asked a lot of hard
4 questions then.

5 And we have, the Army and the State
6 and EPA and everybody's contractors, we've kicked this
7 around a whole lot. And they, the Army and their
8 contractors, has done a lot of testing and they have a
9 good picture of what the soil structure looks like to
10 the west of that Highway 21 right there, showing that
11 rock wall so that, yes, the ground water is moving
12 toward that direction, and as best they can figure,
13 hitting that fault or that rock wall or whatever you
14 want to call it, and then flowing back underneath the
15 landfill.

16 I'm a skeptic. While I can accept
17 that, I'm always looking for the fact that there might
18 be, you know, the possibility something else is going
19 on. So, we've talked about that. And that's the
20 reason they're putting in these additional wells.

21 There are additional wells going on -- Major has got
22 them up there. Three additional wells to the left of
23 Highway 21 there. Can you point to those, Major?

1 MAJOR JIM MORRISON: Twenty-five,
2 twenty-nine, thirty.

3 MR. DOYLE BRITTAIN: One there, one
4 there, and one right there. Because if you look at
5 the way the ground water is flowing, if it does get
6 past that fault, that -- am I saying it right? Is
7 that the right word, Steve?

8 MR. STEVE MORAN: Correct.

9 MR. DOYLE BRITTAIN: If it does get
10 past that rock wall there, it will be headed towards
11 those wells. And if it's in those wells or if it
12 misses those wells, it's going to show up down there
13 in Cave Creek, because water underneath the ground is
14 going to follow basically the same path as water on
15 top of the ground. And it's going to be headed
16 straight for that creek down there.

17 So, we sunk a ground water -- a
18 bedrock -- we will be sinking a bedrock well at
19 Cave Creek down there. So, that's two different
20 levels of checks that we'll be putting in over there.

21 They're also putting in an
22 additional well up there toward Weaver so that if it
23 does move in that direction, we would -- before it

1 gets to your well, if it's going to show up in your
2 well, it would have to show up at this well, first.
3 But that's just as a check.

4 And I accept the fact that with
5 some 99. Whatever percent probability, these other
6 guys are right. But I'm playing devil's advocate and
7 I'm saying, let's just check this other possibility.

8 And I share your concern about the
9 concentrations going up. There's a number of
10 different possibilities that could cause that. But
11 with two data points, we can't give you a concrete
12 answer and I don't want to sit here tonight --

13 MR. RON HOOD: True.

14 MR. DOYLE BRITTAIN: -- and try to
15 snow you on that.

16 MR. RON HOOD: Well, it begs for a
17 third.

18 MR. DOYLE BRITTAIN: That's exactly
19 right and it's probably going to beg for a fourth or a
20 fifth. And before it's over with, we're going to come
21 back to this group right here and we're going to tell
22 you that we know exactly where the ground water is
23 coming from and where it's going to and the pathway

1 that it takes to get there and how deep it is; we're
2 going to be doing that.

3 MR. RON HOOD: Well, I understand
4 that. Another question, talking about this thrust
5 fault, with -- you're assuming impervious rock to the
6 ground water there. What's the depth out there around
7 the highway? How far below the overlay of soil?

8 MR. DOYLE BRITTAIN: Steve?

9 MAJOR JIM MORRISON: They hit
10 ground, they hit in bedrock, in some areas at thirty
11 feet and other areas they haven't hit it at a hundred
12 feet.

13 MR. STEVE MORAN: At GL7, I think
14 it was around twenty to twenty-five feet.

15 MR. RON HOOD: So, it's highly
16 variable.

17 MR. DOYLE BRITTAIN: That's right.

18 MR. STEVE MORAN: And then G-12 it
19 was about ninety feet.

20 MAJOR JIM MORRISON: And I think up
21 here where the Medders' well was -- I don't think they
22 hit it, at all. I think it was residuum. I thought
23 the Medders' well they never got to bedrock, did they?

1 MR. STEVE MORAN: I don't know if
2 we've ever received the geological for Medders.

3 MAJOR JIM MORRISON: I may be
4 wrong.

5 MR. JOSH JENKINS: I think
6 Mr. Medders would be -- the casing was, I believe,
7 close to ninety feet below ground surface. And then
8 it was open hole from ninety feet below that. So,
9 going under that inference, the bedrock is probably
10 around eighty-five to ninety feet or so.

11 MR. RON HOOD: And what was the
12 water table in that vicinity?

13 MR. STEVE MORAN: We don't have any
14 information on that.

15 MS. DONNA FATHKE: What does that
16 mean, though, for the water flow? Are you saying that
17 if there is bedrock there, the water is not going to
18 go through, at that point?

19 MR. RON HOOD: I'm concerned that
20 it might go across the top of it.

21 MS. DONNA FATHKE: Well, yeah,
22 that's the clarification I'm asking for. I mean,
23 doesn't the fault go through the bedrock?

1 MR. JOSH JENKINS: Yes.

2 MS. DONNA FATHKE: So, the water
3 could get through either over the bedrock, through the
4 soil, or through the bedrock, if there is a fault
5 there?

6 MR. JOSH JENKINS: We think water
7 will travel in both the clay, the residuum, and in the
8 bedrock, but it may be traveling at different rates.
9 And that is -- that's just unclear, at this point, how
10 quickly and what different pathways it will take.

11 MS. DONNA FATHKE: So, the depth of
12 the bedrock really don't say yes or no the water can
13 or can't get through here?

14 MAJOR JIM MORRISON: The water --
15 the point about the fault is, the water -- this
16 water's going to take the path of least resistance.
17 So, clay soil will be very -- water moves very slowly
18 through clay soil and that's at .05 feet per day.

19 So, if it hits the -- if it's down
20 to bedrock level and hits that plane, that thrust
21 fault, then that's the path of least resistance. And
22 we anticipate that it would and will take that path,
23 if the geology -- if we understand the geology

1 correctly, it will be coming back underneath the
2 installation.

3 MS. DONNA FATHKE: Rather than
4 going through the clay?

5 MAJOR JIM MORRISON: Right. But
6 what Steve was trying to say and Josh was trying to
7 say is that, with kind of all the information we've
8 put out tonight, the type of chlorinated -- these VOCs
9 are heavier than water, so they're going to go below,
10 dive down underneath the water table and keep going
11 until they hit the lowest depth they can.

12 MR. DOYLE BRITTAIN: Bedrock.

13 MAJOR JIM MORRISON: Bedrock. But
14 on their journey down through that point, you don't
15 know and we don't know and a lot of tests would
16 indicate at what point away from the post, what's the
17 depth here and what's the depth there. All we know is
18 that that's going to take a dive. It's going to go to
19 bedrock.

20 And the best we -- not the best.
21 We want to be able to do, though, by testing these
22 wells, there is two indications, there are two
23 different types of wells here. You'll see that in

1 these locations there is two dots. I failed to point
2 out, and I apologize, that there is two wells in each
3 of the locations; one is a residuum well and one is a
4 bedrock well.

5 So that you get two tests in the
6 same location at different heights, different depths
7 in the ground, if you will; one all the way down to
8 bedrock to determine what's there and the testing the
9 residuum of the soil to see if there is any of this
10 contamination moving through the clay layer.

11 So, the tests will be able to
12 determine both ways, which way --

13 MR. PHILIP STROUD: Something else
14 is that if anybody's gone up and down that road where
15 a lot of these wells are going to be put, there is a
16 big topographic rise there. It's almost a mountainous
17 system and it's almost a valley. That if you look at
18 that, the road is going through. And hydraulically,
19 that's in a big favor toward the Weaver wells. I
20 looked at it hard today. We went out and looked at it
21 today again, so I can get a grasp on that.

22 Usually, again, what they're saying
23 is: Water basically falls topographic relief. And

1 that's a huge mountain system there. Chances are
2 pretty good -- now, don't mark my word, but you may
3 see a rise in water level going that way, which means
4 the hydraulic barrier -- hydraulic gradient is back to
5 Fort McClellan.

6 And I was impressed how big that
7 hill was. So, chances are you're going to see a
8 valley and, you know, the water will be coming down
9 this way. And it makes sense that it would go down to
10 Cave Creek.

11 MR. DOYLE BRITTAIN: If it gets
12 past the thrust fault.

13 MR. PHILIP STROUD: Yeah, if it
14 gets it. And I'm not saying that's the case, but this
15 will also open up a lot of the -- I mean, it will
16 raise more questions, but also it will solve a lot of
17 that. And that's what I'm kind of looking forward to
18 see, if it will -- you have not only a thrust fault,
19 but another hydraulic barrier there, just from water
20 coming back this way.

21 MR. CRAIG BRANCHFIELD: I would
22 also toss out, Mayor, if it makes you feel any more
23 comfortable, it's been my experience, the only time

1 you see ground water plumes a mile or two big is when
2 you -- not a situation like this, where you have what
3 was really, my understanding, was not even an
4 industrial landfill, but just a general waste
5 landfill. The only time you see ground water plumes
6 that are, you know, miles large, are when you have
7 lagoons that people have dumped drums in and things of
8 that nature.

9 So, while it's certainly prudent,
10 in everything that I've seen and heard, what they're
11 proposing to do is the right steps to be taken, based
12 on my experience. The odds of it being out at those
13 wells are extremely small. I mean, we're not talking,
14 in my opinion, you know, on the order of a percent,
15 extremely small.

16 And the other thing on top of all
17 that is these are also low levels of volatile organic
18 compounds. And by the time they could get that far,
19 there is two things that would take place; one, you
20 would get delusion from all the other water that is
21 going into the system between here and the Weaver
22 wells; and two, you also have a (inaudible) -- don't
23 know now if these particular contaminants are

1 (inaudible). But you also have a process called
2 natural attenuation, where these things just naturally
3 break down over time. And over a thirty year period,
4 that was (inaudible) sinking further away from the
5 site, they would be naturally breaking down to
6 compounds that we don't even bother to look for in
7 this type of work.

8 So, there is a lot -- certainly,
9 everything that's being done is prudent and needs to
10 be done, but there is a lot of reasons to believe that
11 those Weaver wells, the odds are very, very small to
12 get that far, given that it's been thirty some odd
13 years and we're not seeing anything out there.

14 That should help add to your
15 comfort level, because it's obviously a major concern
16 to you as it should be.

17 MAYOR WILLIAM KIMBROUGH: Well, you
18 know, I didn't go away thinking there was a threat,
19 but I just went away thinking, what do I need to do
20 if, you know. Like you say, there are no guarantees
21 in life, I learned that a long time ago. And if
22 something were to happen, that's my concern.

23 And still, there is a probability

1 there. You know, it might be a half a percent, but I
2 have to be prepared, you know, to whatever, for some
3 type of alternative source. See, we've got an
4 alternative source, which we're hooked in with
5 Anniston water, so we can cut our wells off. But just
6 three hundred people would be without water.

7 And that's what I need to -- that's
8 what I'm working toward. That was my question.
9 That's what I'm working toward right now is trying to
10 get provisions where those people would have water.
11 And my question was, you know, to you: Do I need to
12 still work toward that or do I just quit and say,
13 there's no danger?

14 MR. DOYLE BRITTAIN: I'm not going
15 to tell you don't do it, but I am going to tell you
16 that by the end of this summer, early fall, we should
17 have all of this characterized and we'll know exactly
18 the nature and extent of this contamination.

19 MAYOR WILLIAM KIMBROUGH: By the
20 end of the summer?

21 MR. PETE CONROY: So, the next data
22 set would be available?

23 MR. DOYLE BRITTAIN: Well, he's got

1 the timeline here.

2 MR. CRAIG BRANCHFIELD: Based on
3 their availability to get access.

4 MAJOR JIM MORRISON: Right.

5 MR. DOYLE BRITTAIN: And that's

6 where you can help us, Mr. Mayor, if you can maybe
7 call some of these people and say, hey, look, you
8 know, he wants to put a well over here in the cow
9 pasture, it's to the City of Weaver's advantage, can
10 you be so kind as to let them stick this well out
11 there. And, you know, the Army will restore the
12 property so that there be no damage to the property,
13 there would be no expense to the people, it would just
14 be a matter of letting them put a well on their
15 property.

16 MAYOR WILLIAM KIMBROUGH: I've
17 already committed to that. Of course, that's in
18 Anniston, so I don't know if those Anniston folks, how
19 they feel. And they're on Anniston water. You know,
20 it's not Weaver water, so I don't know how much
21 influence I would have with them. But I committed a
22 long time ago to do that, to work with them and do
23 that.

1 MR. DOYLE BRITTAIN: Well, you
2 know, not only you, but even the other people of the
3 RAB. And that's one of the main purposes for the
4 Restoration Advisory Board is to serve as liaison
5 between the State, EPA, and the base, with the efforts
6 that we have, trying to do the environmental
7 investigation and clean up and the community. And,
8 you know, if you know some people that live in those
9 areas over there, where those wells are proposed and
10 you can call them and maybe get them to give us
11 permission, we can speed this process up.

12 MAJOR JIM MORRISON: I think when
13 all is said and done with the plan that we've got
14 proposed here with the public cooperation, we know
15 we'll get ALDOT's cooperation, there is a couple of
16 wells that are in their right-of-way, already gone in
17 preliminary discussions with ALDOT. Don't know how
18 soon those will go in. I think they would like to do
19 this as a package, work with the contractor on that.

20 But our interest is getting this
21 project underway, getting these wells in and getting
22 the data back. And I would imagine, you know, we'll
23 commit that through the RAB process, RAB meetings in

1 the future, we will be able to give the RAB updates as
2 we get through that and let you know how well we're
3 doing. Is there any other questions?

4 MR. JERRY HOPPER: What drilling
5 technology is being utilized, especially when you
6 bedrock well installations, because these DNAPLS do
7 have a habit of pooling or developing pockets, to
8 prevent actually carrying the contaminant down with
9 you as you go deeper with the well, if you happen to
10 hit a pocket, are we oversized drilling, encasing
11 that?

12 MR. JOSH JENKINS: Yes.

13 MR. STEVE MORANN: Actually, we've
14 been casing off the residuum in the bedrock wells.
15 We've been casing off the residuum and then going
16 inside the outer casing and drilling with PQ coring or
17 with coring techniques, whatever, depending on the
18 well, and installing it.

19 MR. JERRY HOPPER: Has there been
20 any discussion or thought on actually in the highway
21 median there, the number twelve we're talking about
22 where we see the contamination, does that actually
23 represent a natural scenario or is it a possibility

1 that the installation of the highway developed some
2 migration patterns or routes there that's really not a
3 natural situation that we're looking at?

4 MAJOR JIM MORRISON: We have not
5 specifically asked ourselves that question, to take a
6 look at that. I mean, I realize the highway has been
7 there in that area long before probably even the
8 landfill was there, but not in its four lane form now.
9 Certainly, we can look at that.

10 I do appreciate -- unless
11 somebody's got a question, I appreciate your patience
12 with me. I had to get real smart on this in the last
13 three weeks to be able to do this.

14 If you have any other questions,
15 shoot now or write them down and give them to us and
16 we'll try to get back with y'all on anything you might
17 have. I appreciate it. Thank you very much.

18 DR. BARRY COX: Thank you. Next
19 we'll go to the new business. Under that, agency
20 reports. And, Phil, start with you with the ADEM
21 report.

22 MR. PHILIP STROUD: I guess I'll
23 pass these on around. I'd didn't have much to add for

1 the big poster I had. The reason that is is because
2 we had an on-board review meeting and these will be
3 put on the next plate for next month.

4 But I do have these. These are
5 some of the reports we do have and some that are still
6 pending and some that we've finished up. We've only
7 really finished up two finals and one draft that I've
8 done, personally. But with EPA, and (inaudible), we
9 had an extraordinarily successful meeting last week.

10 EPA is being extraordinarily
11 proactive. This is exciting for the State, also, and
12 the Army. And I'd say last week was one of our most
13 progressive weeks we've ever had.

14 I'm going to give y'all some
15 numbers here. And, Lisa, I don't know how many of
16 these you made, but this is our minutes we had. We
17 reviewed and accepted six work plans for a total of
18 six parcels. And this is, of course, environmental
19 work, sampling, drilling, the same kind of things
20 we're doing out here. And also, we had gone over in
21 two days -- but we were prepared for this long before
22 we got here last week -- and that was twenty-two SI
23 reports, which covered fifty parcels.

1 But these were areas we knew that
2 were not going to be really contaminated. And we
3 didn't have a lot of real hard decisions like we did
4 at landfill three.

5 But anyway, I don't need to go
6 through all of these, but just to let you know the
7 sheer numbers, next month I'll present those on a
8 plate and you'll get to see those. So, if anybody has
9 any specific questions, I have this here and you can
10 read it. Any questions about that?

11 But I would say hats off to EPA.
12 I'm excited about what I'm seeing, seeing the Army.
13 Feel real confident, it's a team spirit I've never
14 seen before. We're working smart. And so I'm really
15 encouraged by this. I don't know if EPA -- well, EPA
16 has to talk next, anyway, so I'm just going to hand
17 this over to him now. And if anybody has any further
18 questions, I'll be glad to answer them. I'm just
19 really excited, I really am.

20 DR. BARRY COX: Doyle?

21 MR. DOYLE BRITTAIN: I don't have
22 anything to add to what he said there. You know, I
23 think -- I've been here three months. I think we're

1 working well together. I've still got a lot to learn
2 about this specific base. I'm trying to come up to
3 speed, as far as what the specific problems are here.
4 I've done this kind of work for a number of years, but
5 learning the particular base is still a challenge for
6 me. So, I think we're making progress and having fun.

7 MR. GLYNN RYAN: From the Army,
8 again, I want to thank Doyle and Phil for all the hard
9 work they did and all the other folks that worked on
10 this. This was a very successful meeting, to have
11 this on-board review. It helped us clean up a lot of
12 documents that we had outstanding. There was a timing
13 issue of getting everyone in there. It wasn't that we
14 held them all, it was just that things were coming
15 through.

16 We're at a process that moves along
17 slowly and then everything starts coming out as you go
18 through this process. But, you know, these guys
19 worked hard and long to put that together. And we
20 really appreciate it.

21 I have one other thing that I want
22 to make the RAB members aware of. And I didn't make a
23 lot of large maps. I've got one I'll kind of use as a

1 display, just to make sure that -- out here in the
2 training areas -- they're training areas 15-B, C, D,
3 I, and J. For some of you that are hunters, that may
4 be in and out of here -- due to our need to do
5 prescribed burns periodically, we're going to do a
6 prescribed burn in these areas, some time between now
7 and the 15th of March. This is a part of our U. S.
8 Fish & Wildlife habitat management and overall
9 management plans.

10 So, as smoke comes off the
11 installation, which we know will, and you hear that, I
12 wanted to make sure the RAB members knew that this was
13 an ongoing process much like the Pelham Range burns
14 that have been done. And we've talked with the folks
15 out here to make sure that they're aware of it. We'll
16 make sure that it's publicized and everything. We
17 just don't want to, you know, all of a sudden for you
18 to get a call, what's going on out there. Has the
19 landfill caught on fire?

20 That's all I have.

21 DR. BARRY COX: Did you have any
22 comments from the --

23 MR. BOB ROBINSON: Miki didn't send

1 me any (inaudible), so I don't have anything to say.

2 DR. BARRY COX: Okay, appreciate
3 it. I guess now we'll go to the action summary sheet.
4 Glynn, who is going to --

5 MR. GLYNN RYAN: I think we've
6 pretty well -- Lisa, do you have anything on the
7 action summary sheet you wanted to go through?

8 MS. LISA KINGSBURY: I have nothing
9 to add.

10 MR. GLYNN RYAN: I think we pretty
11 well covered it with our on-board review. That's
12 really all we've got on that.

13 And also for the Fish & Wildlife
14 burn. Now, Bill Garland may want to add something on
15 that.

16 MR. PHILIP STROUD: I would like to
17 hear it.

18 MR. BILL GARLAND: Well, we really
19 appreciate the work that the Army is doing in this.
20 One of the main reasons we're here is because of the
21 mountain long leaf, which requires a lot of prescribed
22 burning. It requires a program that will kick off
23 eventually with Fish & Wildlife. We've completed our

1 plan and are now working with the U. S. Forest Service
2 to incorporate some of their work here.

3 We've got a team from the
4 Okafinokee (phonetic) that is taking over our burn
5 responsibilities here. And eventually, we plan on
6 having an area-wide helicopter burning program on
7 Fort McClellan. And the Army's favor (inaudible) in
8 this work, it really is a big help for us. So,
9 really, hats off to the Army, go ahead.

10 MR. PETE CONROY: Hope this isn't a
11 subliminal message, but on item 4-B, that should be
12 wildlife refuge.

13 MR. ELLIS POPE: Refuse.

14 MR. GLYNN RYAN: You need to talk
15 to Ron.

16 DR. BARRY COX: Do you care to
17 comment on that, Ron?

18 MR. RON MASSEY: Can you not take a
19 joke?

20 MS. JOAN McKINNEY: See, spell
21 check didn't catch that.

22 MR. GLYNN RYAN: It's a word.

23 DR. BARRY COX: Anything else

1 before we go to the audience comments?

2 MS. JOAN MCKINNEY: May I, please,
3 just a minute. We have bad news and good news. The
4 bad news is, this is likely to be Ron Massey's last
5 meeting. Yes, you know, the contract expired and so,
6 Ron may move on, but he has promised me that if there
7 are meetings like today, that he will come back and
8 run it for us.

9 So, I've really appreciated
10 everything Ron has done for us and know that he's
11 going to be sorely missed.

12 We do have Teresa Norton, who has
13 come in this evening, to kind of shadow everything.
14 Teresa worked here at Fort McClellan for many years.
15 She's familiar with the process, she's familiar with
16 the details that are required to put together a
17 meeting such as this. And so, we'll do the best we
18 can to keep the RAB going in the same manner that Ron
19 kept it, although I'm going to miss him sorely. You
20 know, I never had to show up except an hour before the
21 meeting, you know. I may have to work, now. Ron,
22 thank you so much.

23 MR. RON MASSEY: You're quite

1 welcome. It was good to get to know all of you. If
2 any of you have jobs available, please, after the
3 meeting, let me know.

4 MS. JOAN McKINNEY: And he'll get a
5 good recommendation.

6 MR. RON MASSEY: Thank you.

7 DR. BARRY COX: Thank you. Now,
8 we'll go to the audience comments. Any comments?

9 MS. WANDA CHAMPION: I've got some
10 questions.

11 DR. BARRY COX: Okay.

12 MS. WANDA CHAMPION: The one part
13 that he was talking about, what would make enough
14 percentage to make a difference in these chemicals
15 that are being found in the water? What would make
16 the percentage?

17 MAJOR JIM MORRISON: I think your
18 comment's directed towards the level.

19 MS. WANDA CHAMPION: Uh-huh.

20 MAJOR JIM MORRISON: I think it's
21 important enough to say that in those two wells, the
22 levels are above the site-specific screening levels.
23 And that in itself causes us to take an action.

1 If the levels -- and if I misstate
2 myself -- if there was a different circumstance that
3 caused us to take an immediate action, such as some
4 evidence that there was a direct link or a threat to
5 life, safety, the health of the public, then some
6 other action by the Army would be appropriate. But
7 it's kind of hard to answer your question as to what
8 percentage, because essentially, we're at an action
9 level of doing something right now.

10 MS. WANDA CHAMPION: Okay. One of
11 the other questions, because I went to the library and
12 I've checked up on the Trichloroethylene article that
13 Ms. Elizabeth Blumintz (phonetic) had in the Anniston
14 Star, if any of y'all read it last week. And I've
15 talked to one of the water board workers down at the
16 Oxford Water Board. And so this would be another
17 question is: What kind of filters do you have in
18 place to remove these chemicals if they do go to well
19 water or to any kind of drinking water in this system
20 here?

21 MR. DOYLE BRITTAIN: Okay. You
22 want to take that, Phil --

23 MR. PHILIP STROUD: Well --

1 MR. DOYLE BRITTAIN: -- or do you
2 want me to?

3 MR. PHILIP STROUD: Well, either
4 or, it doesn't matter. I can answer it this way: In
5 my experience in the past, we have had
6 Trichloroethylene in wells. As a matter of fact, I
7 think it's even been noted to be in the Clear Water --
8 what's that, the --

9 MR. PETE CONROY: Coldwater.

10 MR. PHILIP STROUD: -- Coldwater
11 Springs at certain levels. And it's below what I
12 think the state action levels are, whatever those
13 numbers are. I don't know what those numbers are.

14 But I have seen cases where it has
15 gone above the drinking water standards. And in that
16 case, the city has an option either to shut down the
17 whole operation or continue by putting in some kind of
18 carbon absorption beds that would get it probably
19 non-detect. And that is an option he could go to.
20 But it could be expensive.

21 And that's a measure you can take.
22 And sometimes that's passed off as a higher water bill
23 and things like that. But as it gets higher, yes,

1 there may be a shut down, absolutely.

2 MR. DOYLE BRITTAIN: Well, if
3 you're talking about one private well for a person,
4 carbon absorption can be put on just that one private
5 well, if we had any indication that it was going
6 towards the City of Weaver, before it got there, there
7 are other techniques that we could use to intercept
8 that plume and to treat that and cause it to decompose
9 so that it would be eliminated before it ever got to
10 the city.

11 And that's the reason for us doing
12 this additional monitoring over there. And there is
13 several different techniques for doing that. But the
14 main thing that you need to keep in mind is that right
15 now, we are not aware that anyone is drinking private
16 water from a private well in this area over there west
17 of Highway 21.

18 MR. GLYNN RYAN: Right.

19 MR. DOYLE BRITTAIN: And if there
20 is, you know, we need y'all to call that to our
21 attention, because we want to be out there sampling
22 it.

23 MS. WANDA CHAMPION: And another

1 question I have is: Does Cave Creek and Cane Creek
2 flow into the direction of the Choccolocco Creek, and
3 if so, where at and at what point?

4 MR. BILL GARLAND: No.

5 MR. DAVID HORN: They don't flow
6 into Choccolocco Creek, they flow into -- straight
7 down through, toward the Ohatchee area and into the
8 Coosa River, below the Neely Henry Dam.

9 MS. WANDA CHAMPION: Okay.

10 MR. DAVID HORN: I believe they
11 flow through Pelham Range, if I'm not mistaken.

12 MAJOR JIM MORRISON: Cane Creek
13 does.

14 DR. BARRY COX: Anybody else have
15 any questions? Appreciate everybody coming. Do I
16 hear a motion?

17 MR. PETE CONROY: So moved.

18 MR. RON HOOD: Second.

19 DR. BARRY COX: All in favor?

20 (Motion carried.)

21 DR. BARRY COX: Thank you. Look
22 forward to seeing everybody at Jacksonville next
23 month.

1 (WHEREUPON, the meeting was adjourned.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

C E R T I F I C A T E

STATE OF ALABAMA)
CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, a Court
Reporter and Notary Public in and for The State of
Alabama at Large, duly commissioned and qualified,
HEREBY CERTIFY that this proceeding was taken before
me, then was by me reduced to shorthand, afterwards
transcribed upon a computer, and that the foregoing is
a true and correct transcript of the proceeding to the
best of my ability.

I FURTHER CERTIFY this proceeding
was taken at the time and place and was concluded
without adjournment.

1 IN WITNESS WHEREOF, I have hereunto
2 set my hand and affixed my seal at Anniston, Alabama,
3 on this the 17th of February, 2001.

4

5

6

7

8

9

SAMANTHA E. NOBLE

10

Notary Public in and for

11

Alabama at Large

12

13

14 MY COMMISSION EXPIRES: 11-14-2001.

15

16

17

18

19

20

21

22

23