

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at
Building 215, Fort McClellan, Alabama, on the 16th day
of July, 2001, commencing at approximately 6:30 p.m.

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-78
CERTIFICATE79-80

1 MR. CRAIG BRANCHFIELD: If we
2 could go ahead and get started, please. Need a gavel.
3 Order, all you. We'll start with the roll. Dr. Cox
4 is apparently not here. Mr. Ryan is --

5 MR. GLYNN RYAN: Present.

6 MR. CRAIG BRANCHFIELD: -- present.
7 Mr. Hood? Mr. Beckett? Mr. Branchfield? Mr. Buford?
8 Mr. -- and I apologize if I pronounce these names
9 wrong -- Mr. Clendenin?

10 MR. MONTY CLENDENIN: Here.

11 MR. CRAIG BRANCHFIELD: Mr. Conroy?
12 Mr. Cunningham?

13 MR. DON CUNNINGHAM: Here.

14 MR. CRAIG BRANCHFIELD: Mr. Elser?

15 MR. JERRY ELSER: Here.

16 MR. CRAIG BRANCHFIELD: Ms. Fathke

17 --

18 MS. DONNA FATHKE: Here.

19 MR. CRAIG BRANCHFIELD: -- is here.
20 Mr. Franklin?

21 MR. CURTIS FRANKLIN: Here.

22 MR. CRAIG BRANCHFIELD:

23 Mr. Freeman? Dr. Harrington?

1 DR. MARY HARRINGTON: I'm here.

2 MR. CRAIG BRANCHFIELD: Mr. Hopper?

3 MR. JERRY HOPPER: Here.

4 MR. CRAIG BRANCHFIELD: Mayor

5 Kimbrough? Mr. Stratton? Mr. Thomassy?

6 MR. FERN THOMASSY: Here.

7 MR. CRAIG BRANCHFIELD:

8 Mr. Turecek? And we have Mr. Levy, Mr. --

9 MR. RON LEVY: Here.

10 MR. CRAIG BRANCHFIELD: -- EPA,

11 and Mr. ADEM are all here.

12 Has everyone had an opportunity to
13 review the minutes from June or would anybody like to
14 take a couple of minutes to review the minutes from
15 June?

16 MR. FERN THOMASSY: Yes, one
17 correction I have in here. Let me get to it. No, the
18 only ones I have were May. I didn't get the June.
19 Oh, okay, I've got them here, and it has me present.
20 I missed the June meeting.

21 MR. CRAIG BRANCHFIELD: Okay. We
22 can make that correction.

23 Mr. Buford is here.

1 Do we want to approve the minutes,
2 assuming that change will be made, or do we want to
3 wait until the next meeting? Does it matter? What's
4 the --

5 MS. DONNA FATHKE: I move we
6 approve them with the changes.

7 MR. CRAIG BRANCHFIELD: Okay, let's
8 do that. Do I hear a motion to approve the minutes
9 with the change that Mr. Thomassy be deleted as being
10 present at that meeting?

11 MS. DONNA FATHKE: Just don't
12 delete him permanently. I so move.

13 MR. JERRY ELSE: Second.

14 MR. CRAIG BRANCHFIELD: The minutes
15 are accepted, except Mr. Thomassy's name will be
16 deleted. Is there a need to reissue the minutes to
17 everybody or is there an official copy kept somewhere?
18 I don't know.

19 MS. JOAN MCKINNEY: What we'll do
20 is, we'll make this part of the official minutes here,
21 and so the correction will show up on the next month's
22 minutes.

23 MR. CRAIG BRANCHFIELD: Okay, that

1 sounds good. Good, moving right along.

2 Old business? Is there any old
3 business? I was not at the last meeting, so I don't
4 know if there is any old business. No?

5 Before I move on to new business,
6 I've been delinquent already in my responsibilities.
7 I would like to go around the room and have all the
8 guests, please, introduce themselves and their
9 affiliation or association. Start right over here,
10 please.

11 MR. JOSH JENKINS: Josh Jenkins, IT
12 Corporation.

13 MR. POPE: Ellis Pope, Corps of
14 Engineers.

15 MR. JOE DOYLE: Joe Doyle, Legal
16 Office, Transition Force.

17 MR. RICHARD SATKINS: Richard
18 Satkins, Parsons.

19 MR. BILL GARLAND: Bill Garland,
20 U. S. Fish & Wildlife Service.

21 MS. JOAN MCKINNEY: Joan McKinney
22 with the RAB.

23 * MR. JOE CUDNEY: Joe Cudney with

1 Parsons.

2 MR. JEFF ULMER: Jeff Ulmer with
3 Parsons.

4 MS. DEBBIE TAGUE: Debbie Tague,
5 Corps of Engineers.

6 MR. PAUL JAMES: Paul James, Task
7 Force, Environmental Office.

8 MR. BOB DAFFRON: Bob Daffron,
9 National Guard Training Center.

10 MR. BOB SELFRIDGE: Bob Selfridge
11 Huntsville Corps of Engineers.

12 MR. DAN COPELAND: Dan Copeland,
13 Huntsville Corps of Engineers.

14 MS. KAREN PINSON: Karen Pinson,
15 Fort McClellan, Transition Force.

16 MR. BILL SHANKS: Bill Shanks,
17 Transition Force, Environmental Office.

18 MS. LISA KINGSBURY: Lisa
19 Kingsbury, Transition Force, Environmental Office.

20 MAJOR MORRISON: Major Morrison,
21 Transition Force.

22 MS. DIANE WILKERSON: Diane
23 Wilkerson, RAB.

1 MR. CRAIG BRANCHFIELD: Okay, good.
2 Thank you. Moving on to new business. Take it from
3 here, Ron?

4 MR. RON LEVY: Yeah, I'll take it
5 from here. I want to introduce Joe Cudney. He's the
6 project manager from Parsons. If you'll remember,
7 Parsons is a contractor for Huntsville Corps of
8 Engineers. And their mission out here was to
9 characterize for chemical warfare material.

10 This was briefed at, I believe it
11 was the February RAB meeting up at JSU, that we were
12 going to start on the field work. Well, we've
13 completed the field work. And Joe is going to give
14 you what the results -- what we know of the results at
15 this point are. It pretty much concludes the effort
16 that went on in the field.

17 I believe, Joe, you're going to
18 talk a little bit of background --

19 MR. JOE CUDNEY: Yeah, I'll talk
20 background --

21 MR. RON LEVY: Bring folks back up
22 to speed --

23 MR. JOE CUDNEY: -- of what we're

1 doing.

2 MR. RON LEVY: -- as to what we
3 have going on.

4 MR. JOE CUDNEY: Like Ron said,
5 I'm Joe Cudney, I'm the project manager with Parsons.
6 We came out to do the chemical warfare EE/CA, which
7 was kind of a precursor in certain areas to the
8 conventional, the HTRW investigations backed out.

9 And to kind of help you guys along,
10 I've thrown up two maps on either side of the room
11 that kind of depict where our sites are. There is a
12 little red box which will show you, you are here.
13 That's really where we're sitting in building 215.

14 And the rest of the map shows you
15 kind of where our sites are spread out. So, as I
16 reference this and I go back through each site, you'll
17 be able to look at the wall and kind of get an idea
18 where that site lays on Fort McClellan. And if you
19 have any questions -- I'm going to keep this as
20 informal as possible -- just raise your hand, stop me
21 at any time, and ask the questions. Okay?

22 What we do can get very technical,
23 and so if you have any questions, if I use an

1 abbreviation, just ask me. Sometimes I do it second
2 nature in my sleep.

3 What I'm going to brief you on is
4 what we did for the chemical warfare material EE/CA.
5 We started about twenty weeks ago. And before we can
6 do any work, what we have to do is we have to go
7 through an extensive safety training.

8 And the Army comes out and they
9 test it. They run us through scenarios and they make
10 sure we can do it safely and we can do it the way we
11 said we would do it.

12 These two pictures are just
13 examples of some of the testing we had to go through.
14 Those guys are in special equipment, they call it
15 protective equipment, so that we're safe when we're
16 dealing with stuff that we're not sure what it is.
17 But those are just two examples.

18 What are we out here to do? An
19 engineering evaluation and cost analysis. We're
20 really trying to assess whether or not there is any
21 potential chemical warfare material left at some of
22 these training sites at Fort McClellan. These sites
23 were identified through the ASR, the archive search

1 report and previous studies.

2 Once we can resolve whether or not
3 there is any CWM -- we're going to use that
4 terminology a lot -- once we resolve those issues,
5 then we can revisit these sites, other contractors can
6 go out and look at OE concerns and also HTRW concerns.
7 So, we're focusing just on the CWM side at each of
8 these sites.

9 Who is involved? Well, first and
10 foremost is the BRAC transition team; the U. S. Army
11 Corps of Engineers, Mobile District; and then U. S.
12 Army Engineering Support Center, Huntsville. You've
13 heard these names. These people are here. We work
14 for Huntsville directly and we have subcontractors.

15 Human Factors Applications, they're
16 our ordnance contractor. They help us with any
17 ordnance issues we find while we're out here dealing
18 with CWM.

19 U. S. Army Technical Escort Unit
20 called TEU, they work for Huntsville directly. They
21 are a government agency that handles response to
22 chemical events, releases, emergencies. They're on
23 site whenever we do work, so in the event that we

1 would find something, they handle it.

2 Also, we have what's called
3 Edgewood Chemical and Biological Command. They do all
4 our air monitoring. They monitor the air around where
5 we're working to make sure that we don't have any
6 detections for agent in the air.

7 We also keep an ambulance on
8 standby, right here at the site, while we're doing the
9 work. And we work closely with Northeast Regional
10 Medical Center.

11 What was done out here at
12 Fort McClellan? I'm going to briefly go through
13 history. Just in general, this was the primary
14 chemical site for the Chemical Corps School in '51.
15 In the '50s and '60s, they did training in confidence,
16 decontamination of chemical, response, chemical
17 filling, demonstration.

18 These training procedures usually
19 involved small amounts of agent. When I say "small
20 amount," I'll preface this later, when I say a certain
21 amount, I'm going to try to show you what in reality
22 -- just to put it in context -- what small amounts of
23 agent are.

1 But it was training in agent
2 handling, agent decontamination, agent identification.
3 It's not -- they didn't fire live rounds of agent, but
4 they trained with agent in these areas.

5 The Chemical School departed in
6 1973. And they decontaminated the sites and moved the
7 agents to Edgewood Arsenal or Anniston Army Depot.

8 Here is some of the agents that we
9 were looking for. Mustard or H&HD is a blister agent.
10 It's a liquid that's got a vapor point of about 70
11 degrees, turns to a gas.

12 Lewisite is a lot like mustard.
13 It's a blister agent.

14 The next two agents are called
15 nerve agents, and they attack the nervous system; that
16 is GB, sarin, or BX. Phosgene is a choking agent.
17 And BZ is an incapacitating agent. They called it --
18 it was kind of a psychedelic agent. It was nicknamed
19 at one point, agent buzz.

20 We're also going to -- issues --
21 other agents of concern really are the decontamination
22 stuff, the stuff they used to decontaminate the
23 agents. STB is super tropical bleach. Think of it as

1 a powdered bleach, okay. DS-2 and DANC are also other
2 decontamination agents they used when they did
3 training.

4 Previously, in the '90s, a number
5 of investigations were done to sample some of these
6 sites to see if there had been any use due to chemical
7 training. In 1998, the archive search report provided
8 general summaries of a lot of these sites. And that
9 helped, along with interviewee comments, to depict
10 which sites we would need to go back out and take a
11 look at.

12 A little over a year ago we went
13 out and we did what's called a geophysical survey,
14 where this is kind of a precursor to our
15 investigation. This tells us where we need to look
16 and what we need to look at. And I'll kind of give
17 you a little summary on what that is.

18 Thirty-three potential sites were
19 identified through the ASR and subsequent records
20 reviews. After reviewing the data on those sites,
21 sixteen sites were deemed that no further data needed
22 to be collected this time. Doesn't mean they're not
23 going to be addressed in the EE/CA, but we're not

1 going to collect any more data during this field
2 effort.

3 That leaves us twelve training
4 locations and five mustard spill areas that were
5 addressed during this investigation. This is just
6 another copy of the two maps I've got up on the wall.
7 That shows the locations of the twelve training sites
8 and the five mustard spill locations.

9 The first site we're going to look
10 at is called the smoke ranges. Just to let you guys
11 know, we just finished digging on these sites last
12 Monday. We're just getting in the process of
13 demob'ing, so a lot of this information I'm going to
14 give you is just straight out of the field. This is
15 what we're starting to look at.

16 The smoke ranges were used for
17 smoke generating equipment and fog oil training from
18 the '50s to the '70s. The reason it ended up in a
19 chemical EE/CA is because it was deemed a chemical
20 area. They used to deem chemical as -- smoke as
21 chemical.

22 So, what we did in this area, as
23 you can see by this yellow dashed line right here, the

1 lower southeastern corner of the smoke ranges actually
2 overlay some conventional ranges. So, there was a
3 concern that there may be some conventional ordnance
4 along the southeast corner.

5 What we did is we spread out
6 twenty-four grids. Really, what these are is one
7 hundred by one hundred foot areas that are staked out.
8 And we ran geophysics over those areas. And I said it
9 again -- and I'll get to that in one minute as to what
10 exactly that is.

11 We ran geophysics over these areas.
12 We detected what I call anomalies. Really, those are
13 metallic anomalies that we found in the subsurface
14 after running the geophysics that we want to
15 investigate and see if they have anything to do with
16 OE, with CWM, or any of the above.

17 What is geophysics? What does it
18 look like? We used what's called an electromagnetic
19 instrument. It's called an EM-61. This is a picture
20 of a guy right now towing that EM-61. It's a real
21 fancy metal detector. It picks up iron, picks up
22 aluminum. And these come up as anomalies on a
23 picture. And what we do, we go back out and we

1 re-find those anomalies and we go ahead and we dig
2 them up and find out what they were.

3 You can't tell the difference
4 between things, but you can narrow down by the
5 signature the size and you can estimate somewhat the
6 depth of what you're looking at.

7 What did we find in the smoke
8 ranges? We found smoke grenades expended, pop flares,
9 dummy grenades, practice grenades, found a lot of wire
10 mesh, barb wire, fence posts, a lot of just trash in
11 that respect. We did find some OE, but no CWM.

12 Which brings us to the next area.
13 T-38 is kind of in the middle of the smoke ranges.
14 T-38 was a reaction area used by the technical escort
15 unit, or TEU, from the '60s to the '70s. They did
16 training up there on mishap training. They had
17 accident sites where they'd send them out to see how
18 they would respond to accidents and train in
19 responding to accidents. They also stored agent at
20 T-38.

21 And we looked at -- what you see by
22 these little red areas is where we did geophysics.
23 Basically, we staked out these whole areas and ran

1 EM-61 in three foot spacing so you cover the entire
2 area. And what we're looking for is we knew they had
3 a disposal pit left up there from when they did
4 training, they kind of deposit all their decon stuff
5 into. That disposal pit is this little pink blob
6 right here.

7 And we also know from interviewee
8 comments that they supposedly buried a drum of mustard
9 agent that was kind of a little worse for the wear in
10 that area. So, we're looking for the drum of agent.
11 And the interviewee comment said they either buried
12 the agent on the south end of the compound, which is
13 this area down here, or it could have been to the east
14 of the storage pad, which is this pink square right
15 here.

16 So, we surveyed those two areas.
17 But after actually getting out in the field and
18 actually talking with the interviewee, it turns out
19 they never used this southern half during that time
20 frame. So, that put the suspect drum area actually up
21 in this area right here. So, we went ahead and we
22 brushed cleared that and surveyed that while we were
23 out there. So, we can go ahead and see if there is

1 any remnants of a drum left at T-38.

2 What did we find? The smaller
3 individual anomalies that we dug, we found fence
4 posts, barb wire, reinforced concrete, sheet metal,
5 communications wire, scrap, nails. We did find one
6 empty 75 millimeter projectile casing. We found two
7 disposal pits or could be one disposal pit, right in
8 that same disposal area. That disposal area is right
9 here. (Demonstrating.)

10 Just for your reference, the 75
11 casing was found down here. And that was actually
12 partially on the surface. But what I want to do is I
13 want to look at those disposal pits.

14 We did some soil sampling. We put
15 in some borings. And the preliminary results showed
16 non-detect for agent and what I call agent breakdown
17 products. Basically, that's what the agent breaks
18 down to when it's left in the soils for an amount of
19 time. When I say ABP, that's what I'm talking about.

20 This is a blow-up of what we think
21 was the disposal pit. These pink lines are trench
22 lines. We used a backhoe and we trenched through the
23 pit, trying to determine what's in it, how deep it is.

1 This is what we found. We ran four
2 trenches. We found a total of three, 4.2 inch
3 chemical mortars. We found STB drums, or super
4 tropical bleach drums. We found two fifty-five gallon
5 chemical drums. We found some -- a glass vial and
6 some glassware. And we found some FS smoke balls.
7 Now, I'll show you pictures of what all that looks
8 like so you can get an idea of what we looked at.

9 This is what it looks like when we
10 excavated out there. We used a backhoe. And the
11 protective equipment the guys wore, which was called
12 level B, is they were in suits with supplied air when
13 they dug these.

14 We also monitor the air while we're
15 doing all the digging. And we didn't getting any
16 detections for agent while we were doing the digging.

17 This is an example of a 4.2 inch
18 chemical mortar. All three that we found were empty.
19 This is an example of an FS smoke ball. We found bits
20 and pieces of a lot of them.

21 This drum you see right there is an
22 STB drum. It's also called a fifty pound drum. It's
23 about the size of a ten gallon drum. And this here is

1 a fifty-five gallon chemical drum, with the real thick
2 side walls as an indicator.

3 MR. JERRY HOPPER: Were you able to
4 identify the original contents of the drum?

5 MR. JOE CUDNEY: No, these drums
6 were empty or they had bits and parts of soil in them.
7 We sampled the soil in the drums and underneath the
8 drums. And the results -- the preliminary results are
9 that there was no agent or breakdown products in the
10 soil around the drums.

11 We also dug into this anomaly on
12 the other side of the street to see if it's the same
13 kind of thing. This is a picture of what it looked
14 like when they were trenching in that anomaly.

15 What did we find there? We found
16 bits and pieces of a fifty-five gallon drum that was
17 empty. And that was a chemical drum. We found some
18 more STB drums.

19 We also found fabric. What it was
20 is they laid a road on top of these pits after they
21 put them in. And they put a fabric down underneath
22 the road. So, we cut through the road and we got to
23 the fabric, then we got to the stuff underneath the

1 road.

2 Again, there weren't any detections
3 in the air or soils for agent. What we did find,
4 remnants of the stuff they trained with.

5 Which brings us to our next site
6 we're going to look at, and that's T-31. It's
7 immediately north of the smoke ranges. This is an
8 area that the technical escort unit used before they
9 moved to T-38 for training.

10 What they did here is they used
11 sarin or GB, the nerve agent, and mustard, in small
12 quantities, twenty to forty milliliters, to
13 decontaminate objects. Well, they'd put it on objects
14 to contaminate them and then they'd decontaminate
15 them.

16 This is a vial that's a forty
17 milliliter vial, just to give you an idea of how much
18 forty milliliters of agent is, so you can have an idea
19 of how much that is.

20 What we did here is we focused our
21 investigation. We used old photos of what T-31 looked
22 like at the time they used it. And what we did is we
23 focused on areas where they did trainings. Where were

1 the clear areas? Where were areas that looked like
2 they would have buried something? A scarred area?

3 And these little hatched lines you
4 see are areas where we ran geophysics to try to
5 pinpoint where they would have done training and where
6 they could have left something behind.

7 We also used kind of field
8 reconnaissance. We were out at these sites, we'd look
9 around. If we saw something that was kind of
10 suspicious, we would go ahead and look at that, as
11 well. And that's kind of where this grid here comes
12 from.

13 We found a mound that looked like
14 it was pushed up by a bulldozer. And there were
15 anomalies in the middle of the mound, so we decided
16 that was suspect enough that we put a grid on it and
17 surveyed it.

18 We also threw in six soil borings
19 along the road network that used to be T-31 to try to
20 sample for any residual agent in the soils.

21 What did we find? We found fence
22 posts, fencing, barb wire, sheet steel, pipes,
23 communications wire. We did find one M-2 magazine.

1 We found nails, lot of nails. Hoe, scrap metal.

2 The preliminary soil sample results
3 were non-detect for agent and breakdown products.
4 Just to give you an example of just the pictures are
5 of terrain of what T-31 looks like up in that area.

6 MR. RON LEVY: Joe, tell them what
7 you mean by preliminary soil samples.

8 MR. JOE CUDNEY: Well, we've got
9 soil samples back, but we're still working on
10 validating the results to make sure that they're
11 right. Right now the results show no agent.

12 When we take a soil sample, it has
13 to be cleared before it can leave the site. So,
14 basically, to check the vapors of the soil to make
15 sure there's no detections of agent before it goes
16 off-site. And then they analyze the actual soil
17 itself. Right now the soil results that have come
18 back, have come back clean or non-detect for agent.

19 Naylor Field is the next site we
20 looked at. Naylor Field, to give you guys an
21 indication, is down here. (Pointing.) It's right
22 down past the kind of the cantonment area, right in
23 the middle. Naylor Field was identified on a 1956 map

1 as the howitzer hill decon area.

2 Basically, they would train on
3 techniques of decontamination here. They'd pour
4 amounts of agent on things and then decontaminate
5 them. Usually, they used around forty milliliters,
6 but some of the interviewees comment they used up to
7 two gallons of something.

8 There is eight training areas that
9 were located kind of on the north end of it that also
10 were set up for training for decon.

11 What we did was we focused our
12 investigation on taking soil samples from this
13 training area. And what we did is we took soil
14 samples from the drainage areas where everything, the
15 drain, the ditches from these training areas.

16 We also put a one hundred by one
17 hundred foot geophysical grid right in the middle of
18 Naylor Field. And the reason we did that is that if
19 you look at old historical photography, there is a
20 road that goes right down to this grid and stops. And
21 then you got an open area. So, it's a logical dumping
22 area where they could have disposed of things. So,
23 that's why we focused the grids.

1 But what did we find is the big
2 question? Found lots of drum lids. Speculation is
3 the guys would hurl the drum lids off the top of the
4 hill to the bottom. A lot of drum lids from STB drums
5 in the range.

6 We found one partial STB drum. We
7 found some concrete bombs on the surface. These were
8 just concrete bomb-shaped like projectiles that they
9 would -- I'm not sure exactly how they would train
10 with them. I'm not sure. A lot of people say they
11 used them as road markers or, you know, markers of
12 entrances and exits to the areas.

13 The soil samples also on those ten
14 locations we put in in the drainage network came back
15 non-detect for agent and agent breakdown products.
16 Again, we didn't get any detections in the air while
17 we were doing the investigation.

18 The next area I want to look at is
19 Cane Creek training area. And that's really almost
20 right across the street from Naylor Field, right next
21 door.

22 This area was on -- again, was on a
23 1956 map showed as a chemical corps training area for

1 decontamination. And if you look at the old maps, all
2 the training was done on the west side of Cane Creek.
3 So, that's where we focused our investigation.

4 The geophysics we ran were kind of
5 focused a little more toward the road. The reason
6 being is we couldn't brush clear up real close to the
7 creek, but we did schonsat some of that and didn't
8 finds any anomalies. But we did find six anomalies in
9 the area we did survey. We went ahead and we put in
10 soil borings all along the creek to look for agent and
11 agent breakdown products.

12 Nobody's done any work at
13 Cane Creek, previously, so this is the first work that
14 was done out there. What did we find? Mostly scrap,
15 nails, conduit, rebar, hinges. We did find one
16 magazine full of blanks.

17 The soil sampling results, again,
18 were non-detect for agent and agent breakdown
19 products. We didn't find anything related to CWM.
20 The only ordnance item would have been the magazine.

21 While we were out here -- let me
22 back up a little bit, if I can do that. While we were
23 out here, looking around, again, we found an area that

1 was kind of suspect to us. We found a depression
2 about six feet around that had ring-offs in it. So,
3 we went ahead and we dug that depression, as well. It
4 turned out to be trash, steel, rebar, some drain pipe.
5 It wasn't anything.

6 That's kind of a picture of what
7 Cane Creek, the whole area looks like, real close to
8 Cane Creek.

9 Agent ID area, that's the next area
10 we're going to look at. It's right in the middle of
11 the cantonment area. You guys familiar with the area?
12 It's kind of across from the credit union. It's in
13 that big, open field between the PX and the credit
14 union. Right now there is a circular track out there.

15 The only reason we looked here is
16 that on a '59 map there was a little block that said
17 agent identification area where they could have
18 potentially done identification of agent, training for
19 the troops.

20 There is no other information
21 available. We wouldn't expect them to use live agent
22 right in the middle of the cantonment area, but we
23 went ahead and we stuck two one hundred by one hundred

1 foot grids right over the top of that footprint so we
2 could go ahead and look exactly where it said the
3 agent ID area was.

4 We found twenty-one anomalies. We
5 also found some utilities, older utilities, very old
6 utilities, from the results that we looked at.

7 What did we find? Found a lot of
8 storm drain pipe. Found reinforced concrete. Found a
9 manhole cover, we found a partial one, and there is
10 also a full one that says in the neighborhood of Camp
11 McClellan, 1918, 1919.

12 MR. RON LEVY: Where did the
13 manhole cover go?

14 MR. JOE CUDNEY: I'm still working
15 on that. I'm going to have to drop that manhole cover
16 from this talk pretty soon, because I'm not sure where
17 it is.

18 MR. RON LEVY: It's a historic
19 piece of --

20 MR. JOE CUDNEY: But we did get
21 what we wanted. We found the foundation, we think, of
22 where that building would have been and the area
23 around it. And again, there were no detections in the

1 air when we were doing the work. And the soil results
2 came back non-detect.

3 The old burn pit, this is kind of a
4 strange site. This site was added during the ASR site
5 visit. They were out walking around in the woods and
6 they found this depression, another depression. It's
7 our third one, remember. This one was out in the
8 woods behind the motor pool.

9 The old burn pit is actually -- I'm
10 not sure I have it -- yeah, it's right here. Not that
11 that means a lot. It doesn't mean a lot to me right
12 now, either.

13 But it was a six foot depression.
14 It was close to where they did chemical training. So
15 they said, well, let's go ahead and take a look at
16 this. So, we called it the old burn pit. It had a
17 wire mesh through it and it had some, looks like, some
18 protruding metal off to one side.

19 What are we looking for? We're not
20 really sure. We used the agents that were used in
21 those areas, which would have been mustard and sarin,
22 and we set up what we call a nose. And really, that's
23 our area where we keep the public out from where we're

1 working, for safety reasons.

2 What did we find? Well, the first
3 depression yielded us kind of something we weren't
4 expecting. This first picture right here is the
5 ordnance items we pulled out of that first depression.
6 No less than twenty ordnance. All practice and inert,
7 but there were a lot of ordnance items in that pit.
8 And again, that was just -- so, we didn't expect this,
9 but it was ordnance items.

10 We didn't find any CWM stuff there.
11 No detections in the air.

12 While we were walking around there,
13 we found two more depressions right next door. We
14 went ahead and looked in those, too. The second
15 depression, we found an empty metal box with some
16 smoke canisters. And the third depression, we found
17 some just trash, no EO, no CWM, no nothing related to
18 it.

19 So, it was interesting to find.
20 That was just to give you an idea. That's an 81
21 millimeter mortar, those are 60 millimeter mortars.
22 And most of these are bits and pieces of rifle
23 grenades.

1 Training area 24 Alfa. That's
2 located way to the southeast on your maps. Training
3 area 24 Alfa was used for chemical munitions disposal
4 field training for the troops. What they did is they
5 trained on disposing of chemical rounds. They used
6 chemical in containers and actually trained on how
7 they would dispose of it.

8 This fenced area in the area that
9 is now fenced of 24 Alfa, and there is also -- and
10 from the '69 map, they picked up what could have been
11 a former pit on the north side of the road. What we
12 did is we ran geophysics fence to fence this entire
13 area. We also ran geophysics over here to try and
14 determine what would be left on the north side of the
15 road of 24.

16 The other thing that makes this
17 kind of interesting is this range also overlaps a lot
18 of conventional ranges. So, we were looking for
19 disposal areas, but we were also going to dig some of
20 the smaller anomalies to see if there was any ordnance
21 also in that area.

22 What agents did they use out here?
23 They used phosgene. They used sarin and mustard, but

1 they also used BZ, that was that incapacitating agent
2 that I talked about before.

3 The site was decontaminated in 1973
4 by DS-2. And the training agent they used normally
5 were projectiles. There are a 105 millimeter and 155
6 millimeter projectiles. I'll show you a picture of
7 those in a little bit.

8 This next map you're going to see
9 is the results of the geophysics. Don't get thrown
10 off by these red lines that shoot out. It's kind of a
11 three dimensional picture of what we saw.

12 The pink blobs are the big
13 anomalies. To give you a reference, this pink blob
14 down here is about eighty feet across. It's a big
15 area. Some of the smaller anomalies are eight to ten
16 feet across.

17 We picked out eight to ten large
18 anomalies, very large anomalies, to look at. We also
19 assessed about twenty-three smaller ones to see what
20 those were. We didn't dig all the smaller anomalies,
21 but we dug a percentage of them.

22 Those bigger anomalies, what we did
23 is we trenched into them. We actually dug a trench

1 line across them to try to determine what was in the
2 pit or disposal area and how deep it was.

3 What did we find? In the disposal
4 pits we found an empty 105 millimeter and 155
5 millimeter projectile. We found a 4.2 inch mortar
6 that's not on here. We found expended five inch
7 rocket motors. We found concrete bombs. We found
8 charred soil and debris. We found charred wood.

9 The individual anomalies were
10 mostly car parts and metal scrap. And when I mean car
11 parts, I mean big parts of cars, really big parts of
12 cars. We found one 81 millimeter and one 60
13 millimeter practice mortar, also, from the smaller
14 anomalies.

15 To give you guys an idea of what it
16 looks like when we're digging, this is it. This is 24
17 with all the different anomalies that we investigated
18 with the backhoe. This is a picture of them digging
19 with the backhoe and trenching along trench lines
20 within the anomalies.

21 But what's better, if you want a
22 picture of what we found. This is a blow-up of kind
23 of what we found. These are 105 millimeter

1 projectiles. These are the -- the empty casings of
2 155s, so-called. That's a 105 millimeter projectile.
3 And these long -- look like pipes, are five inch
4 rocket motors.

5 This is the front end of a car.
6 This is a seat out of a car with some other debris.
7 And those are concrete bombs, bits and pieces, with
8 some charred soil in that one right there.

9 The remaining sites that we looked
10 at were soil sampling sites. Basically, we picked
11 areas -- these areas were identified during the ASR as
12 areas where we needed to look.

13 What we did in these sites is we
14 didn't dig with a backhoe or do geophysics, what we
15 did do is install soil borings and take soil samples.

16 Anywhere I said we took soil
17 samples, we take them at two depths, a foot -- about a
18 half a foot to a foot, and then three and a half to
19 four feet. We take two samples out of each boring,
20 just to give you an idea.

21 Black top training area. This area
22 was used by the chemical corps as a training area.
23 Really, what we think it was was a demonstration area

1 for flame throwing, smoke, decon equipment. What made
2 it interesting is it had an inner fenced area right
3 here, depicted by this pink line, where they had a
4 fence within a fence, where it's possible they could
5 have stored something.

6 Nobody has done any work out here
7 previously, so what we did is we spread eighteen soil
8 sample locations in and around the black top training
9 area. What I neglected to tell you is where it is.
10 That puts it kind of just west of Naylor Field on the
11 other side of howitzer hill.

12 That's just a picture of the black
13 top training area. The results have come back as
14 non-detect for agent and agent breakdown products.

15 So, we did -- and when we installed
16 these soil borings, we did it by hand with what we
17 call a hand auger, which is just kind of a manual --
18 boy, I don't know how to describe it. It's very
19 simple. It's almost like a post hole digger, very
20 similar. That's the best description I can give you.

21 The next area we looked at was a
22 dog training area. This area wasn't even deemed a
23 chemical area, but again, this is another area that

1 during the ASR they were walking around and -- near
2 the dog training area, and they saw this pad. And as
3 you can see, it's heavily corroded and stained. So,
4 what we did is we went ahead and put soil borings on
5 either side of the pad and we ran them for agent and
6 agent breakdown products.

7 Again, it came back negative. No
8 air monitoring indicating anything when we were doing
9 the digging. Just didn't really find anything.

10 The next area was the field
11 personnel decon area. This area was used mainly for
12 decontamination of the troops after they trained at
13 Naylor Field. It's actually -- to give you guys an
14 idea, it's right here, Naylor Field is over here.
15 It's just on the other side of the black top training
16 area.

17 The rest of the sites I'm going to
18 talk about are all in this general area.

19 MR. RON LEVY: You might point out
20 that the reason why there is so many sites down in
21 that area is because that's where the original --
22 that's where the chemical school was originally
23 situated for the MP school was before it left.

1 MR. JOE CUDNEY: So, what we did is
2 the concrete pads that are sitting here are circa
3 about 1940s. We did and we took and we put soil
4 borings all the way around the pad and -- to see if
5 there was any agent or agent breakdown products in the
6 soils. Again, we didn't detect any from the sampling
7 results that we've gotten back so far.

8 Old toxic training area. This area
9 was used in the '50s for detection and identification
10 of agent. They used really small amounts of agent.
11 And they were most likely placed on the ground and
12 they were used to -- so the troops could detect that's
13 what agent smells like.

14 There is a fenced area in the
15 purple that was deemed the old toxic training area.
16 TEU, or technical escort unit, looked at that area
17 back in '93 and didn't find anything.

18 But one of the interviewee comments
19 said, well, maybe it wasn't on the south side of the
20 building, maybe it was on the east side. I think
21 that's where it might have been.

22 So, to close the loop, what we did
23 is we went ahead and took some soil borings and put

1 them in right on the east side of the building where
2 it would have been if it were there. That's what it
3 looks like today.

4 This is the spot where the soil
5 borings went in. We put them in -- since we're
6 putting them in in black top, we had to actually core
7 through the black top and asphalt to put in our soil
8 borings. And that's just a picture of the guys
9 coring.

10 Mustard spill sites. There were
11 five sites identified as mustard spill sites. Four of
12 them were identified from a 1977 map which showed
13 basically these exact polygons or circles, those areas
14 as mustard spill sites. We're not sure what it was
15 related to.

16 A fifth site was added in 1998 by
17 the environmental baseline survey. I'm pretty sure it
18 was this one right here. But we think they could have
19 had something to do with a transport mishap they had
20 coming from T-38 on top of the hill to Naylor Field
21 with agent. Maybe the guy was driving all around the
22 base, I don't know.

23 But to close the loop on these

1 mustard spill sites, we put in four soil borings in
2 each of these areas, spread out over the area and took
3 two samples from each boring for the mustard spill
4 sites and ran them for mustard. And we didn't get any
5 detections for agent. Soil samples came back clean.

6 This is an example. It shows you
7 what the guys look like when they're taking the
8 samples. We set up air monitoring equipment around
9 them. And that's what it looks like when they take a
10 manual hand auger sample.

11 MR. PHILIP STROUD: And those are
12 based on wind direction?

13 MR. JOE CUDNEY: Yeah, when we set
14 up our area of exclusion, they set up sampling pumps
15 all the way around them, one at them, two down
16 gradient, and two upgradient. And also, we set up a
17 perimeter that isn't really based on wind direction as
18 much as it is a completely big circle all the way
19 around the guys.

20 MR. FERN THOMASSY: What
21 instruments were you using to monitor?

22 MR. JOE CUDNEY: Edgewood comes out
23 and they monitor with what we call near realtime.

1 They call them mini-cams. They're essentially a field
2 GC. And it's near realtime.

3 We also have sampling pumps, which
4 they call DAMMS tubes, which go out and collect it,
5 over like a four hour cycle on an absorbent pad, and
6 they run that pad for agent over that period. That
7 tells you if you picked anything up in those four
8 hours.

9 MR. DAN COPELAND: Ring (phonetic)
10 fighter, also, Joe.

11 MR. JOE CUDNEY: Oh, and the out
12 (phonetic) fighter, that's another instrument we use,
13 too. It shoots across the path, down gradient where
14 we're digging.

15 MR. FERN THOMASSY: The what?

16 MR. JOE CUDNEY: They call it an
17 out (phonetic) fighter. It shoots a foyer (phonetic)
18 beam from an instrument to a reflector and back. It
19 picks up particles across that path and analyzes those
20 particles to see if they fall within what would be an
21 agent.

22 To give you an idea, a summary,
23 what did we do? We looked at twelve sites. We looked

1 at five mustard spill sites.

2 We confirmed what the training
3 record said we found, remnant training materials. We
4 found decontamination materials, STB drums.

5 We didn't find any evidence of
6 chemical agent, which leads you to believe that it
7 indicates they did do proper decontamination when they
8 left these areas.

9 Again, we've been out of the field
10 about a week, if that. Questions? That's a lot of
11 material. If you guys have any questions, be really
12 happy to back up all the way to the beginning, if need
13 be.

14 MS. DONNA FATHKE: In the T-24
15 Alpha, you said some of the anomalies were eighty feet
16 long. Would those -- was that just a group of some of
17 the bigger objects?

18 MR. JOE CUDNEY: The objects we
19 pulled out are a sample of what's in some of those
20 pits. Let me back up, if I can, and elaborate on it.

21 MR. RON LEVY: You hit escape, then
22 you can go to the --

23 MR. JOE CUDNEY: Oh, man, I'll

1 never get back. I'm real close. Bear with me.

2 Like for instance, this anomaly
3 down here, we trenched three trench lines through it.
4 And what we picked out of that was a lot of charred
5 debris and one 155 millimeter projectile that was
6 charred.

7 MS. DONNA FATHKE: So, you didn't
8 find a training car or anything down there, it was
9 just --

10 MR. JOE CUDNEY: No. What we did
11 is we looked across these. We cut across them and
12 then we cut across at angles. We try to find out how
13 deep it is. This is an EE/CA. So, we're trying to
14 find out how deep it is and apparently what's in it.
15 What have we found? We're not trying to remove
16 everything out of that pit, we're just trying to get a
17 sample of what's in it.

18 Any other questions?

19 MR. JERRY HOPPER: What lab were
20 you utilizing for your soil sample analysis?

21 MR. JOE CUDNEY: Edgewood.
22 Actually, ECDC sends it to their own lab in Aberdeen.

23 MR. JERRY HOPPER: Okay.

1 MR. CRAIG BRANCHFIELD: Do the
2 results that you got, Joe, I mean, do they pass the
3 common-sense test? And the only reason I ask is
4 they're using chemical weapon material out here for I
5 don't know how many years. I assume it was a fair
6 number of years. Granted it was thirty years ago, and
7 I don't know how this stuff might naturally attenuate
8 in the environment or break down in the environment.
9 I mean, based on experiences of other Army sites where
10 they did this type of training -- if there were any, I
11 don't know -- I mean, when you guys started this
12 investigation, did you expect to have such positive
13 results as you obviously have come up with?

14 MR. JOE CUDNEY: You're going off
15 my opinion here. And from my experience, what you're
16 most likely going to get is if you get it in a
17 container, are you going to have agent. If it gets in
18 the soil, the odds of it retaining itself in the soil
19 for thirty, forty, fifty years are pretty slim.

20 MR. CRAIG BRANCHFIELD: And that's
21 because it breaks down naturally in the environment
22 over time?

23 MR. JOE CUDNEY: It can happen. I

1 can't speak to that --

2 MR. RON LEVY: The fact that
3 McClellan was never a manufacturing site for agent or
4 agent and related ordnance material, I mean, speaks a
5 lot. You know, we did training -- trained soldiers
6 how to use the stuff, so you used limited quantities.
7 And nothing was fired out here. And there wasn't any
8 bulk amount of ordnance that they were trying to
9 dispose of, either, because it all really was
10 restricted training. You know, that says a lot about
11 what you might find or what you wouldn't find out
12 here.

13 MR. FERN THOMASSY: And I think all
14 that comes to my question. When are you going to have
15 a press release? For years this is the thing that
16 we've been sitting on and haven't been able to answer.
17 And it's really an important piece of information that
18 needs to get out to the public as soon as possible.

19 We have a large segment of this
20 community, from top to bottom, that thinks this place
21 is contaminated, that thinks it's a horrible mess
22 because there was chemical training here, that thinks
23 they're going to find munitions, they're going to find

1 puddles of agent, they're going to find a number of
2 things that we can continue to describe along the line
3 that I've already described, and it's not there. And
4 I think this is pretty conclusive proof, going into
5 the areas that have been suspected all the way back
6 from 1951, on up through the present time, and found
7 absolutely nothing, not even agent breakdown products.
8 And so that needs to get out, I believe.

9 MR. RON LEVY: And I agree with
10 you. We have a public process we're going to follow
11 under the EE/CA. And one of the things is once they
12 complete the EE/CA and if we send it out for public --
13 we'll also have a separate public meeting to present
14 that. And hopefully, the press will get in on that.
15 Generally, they're invited to come here, too. So,
16 they're not here today.

17 And then they'll be an action
18 memorandum associated with that, in terms of what, you
19 know, what we intend to do, which is really no further
20 action, assuming that everything stays the way it does
21 with the sampling.

22 MR. JOE CUDNEY: We still have some
23 soil samplings that are out.

1 MR. FERN THOMASSY: Yeah, you've
2 got to close the books and get that last --

3 MR. JOE CUDNEY: Close the books
4 and --

5 MR. FERN THOMASSY: -- couple of
6 percent down.

7 MR. JOE CUDNEY: Exactly.

8 MR. RON LEVY: But we'll publish
9 that in the newspaper, too, in accordance with the
10 requirements for conducting an EE/CA. And EPA and
11 ADEM, which when the document is completed, will also
12 have a review period that they'll go through it and
13 have their experts look at it. So, if there's anymore
14 questions that come up, we'll try to address it. So,
15 there is a lot more review to be done.

16 The other thing I wanted to point
17 out to you, too, is that when we put the work plan
18 together to investigate this site, see, it was not
19 done strictly by the Army. The BCT, which includes
20 the EPA and ADEM, was intimately involved in review
21 and approval or concurrence to move ahead with what we
22 said we were going to do in the field. I don't know
23 if you -- do you want to add anything, Doyle, to that?

1 MR. DOYLE BRITTAIN: No.

2 MR. RON LEVY: Phil?

3 MR. PHILLIP STROUD: Well, I just
4 -- again, I've been out there watching them do this,
5 if you want to call it sneaking, occasionally. And,
6 you know, I've been in level B, too. I've appreciated
7 what they've done. I've personally been involved from
8 a consultant side, looking for chemical warfare
9 material. For example at the Memphis Depot and a
10 variety of other things. It's extraordinarily
11 dangerous. But it's been a hot -- you know, a fairly
12 hot summer, and I just want to commend y'all on a good
13 job.

14 And under the constraint, they
15 basically met their deadlines, they came in and -- but
16 also, I want to heed caution, that we've still got a
17 lot of investigations to do here, even with them gone.
18 They will be called back if we ever see anything in
19 the future.

20 MR. RON LEVY: In fact, Pelham
21 Range --

22 MR. PHILLIP STROUD: Yeah. So,
23 just, good job. I appreciate it.

1 MR. JOE CUDNEY: If you guys have
2 any questions, at all, feel free to ask me. Be happy
3 to answer any questions.

4 MR. CRAIG BRANCHFIELD: Okay.
5 Good. Thank you.

6 Off to the agency reports. And
7 Philip told me before the meeting that he wasn't
8 prepared for this meeting. So, now is your
9 opportunity to really beat him up.

10 MR. PHILLIP STROUD: No, I -- it's
11 not that I'm really not prepared. It's just we've --

12 MR. CRAIG BRANCHFIELD: That's not
13 what you told me earlier.

14 MR. PHILIP STROUD: ADEM's going
15 through a little restructuring in the land division.
16 And I've got new bosses and I'm really getting them up
17 to speed. The last month has been very tough, going
18 through a new reorganization. And I'm dealing with
19 guys that are directly and have always been involved
20 with RCRA. And this is a CERCLA like process.

21 And I just want to let y'all know,
22 that's going real good. I'm bringing good news, that
23 they are getting up to speed and I'm able to start to

1 get the process rolling.

2 We lost Shannon Golden, and I've
3 been reorganizing all his work that he's done and
4 going through the filing system. And it's an enormous
5 task.

6 But anyway, besides that, a couple
7 of other notes. I have been doing an enormous review
8 on the Charlie EE/CA. It's been one that's been a
9 real big concern of mine, so I've spent many, many
10 days, and it's been a big concern to ADEM. And so,
11 it's going through a lot of iterations. And so,
12 that's been a big issue.

13 So, I don't have a lot of reports
14 to present, because we're not turning off a lot of
15 clean land right now. We're dealing with very serious
16 subjects now that take a lots of review. So, the
17 grinder is slowing down a little bit.

18 And another note: The NAOC, when I
19 had gone out to -- Las -- I mean -- I'm sorry, where
20 did I go? Las Vegas, yeah.

21 Anyway, I'm still getting back
22 incredible feedback from when I had gone out and done
23 a presentation for the state's perspectives on the

1 unexploded ordnance, ordnance and explosives.

2 And it's remarkable the states that
3 are calling me and e-mailing me. They're still
4 wanting to -- they being the states, want to know why
5 Fort McClellan is doing so well. And they hear it
6 from a lot of people, apparently, the Pentagon and a
7 variety of other sources.

8 And so I'm enjoying this. And I
9 got a real nice letter back from the NAOC, thanking
10 me, that it's a refreshing experience to them to have
11 something like Fort McClellan in Alabama leading the
12 nation.

13 Where I'm going to give the credit
14 down to, it comes down to this RAB. And I let them
15 know that, that the RAB was, in my opinion, one of the
16 most important areas, because we have a very smart
17 group here and we work well.

18 Some of the RABs have fallen apart
19 around the nation. It's because, I think, they don't
20 put out trust on the table and talk to each other.

21 I just want to let y'all know that
22 the states are very interested in us. And there is a
23 group called the ITRC, it's a -- this group allows

1 states to transfer technology nationwide. And it's
2 all by the click of a button through the internet.
3 And it's an incredible, powerful tool that I'm using,
4 too, to understand what's going on with other sites
5 around the nation. At any one moment, I can get a --
6 If I have a question, I'll get a thousand answers in a
7 minute.

8 But what I'm saying is, is that the
9 ITRC, that group of folks -- I've explained it before
10 in the past -- but they want to actually come here and
11 sit through a BCT and a RAB meeting so they can
12 educate other people. I told them, I said, I don't --
13 I'd have to talk with everybody else here, but I have
14 no problem with them, down the road, if we can make
15 that -- may have a couple of guests from the ITRC, I'm
16 all for it.

17 And also, just one quick note, I've
18 been with IT and EPA and we've been looking -- we did
19 spend a lot of time out at the ranges where they --
20 the small arms ranges quite a bit lately, and been
21 looking at the questions of how far these things have
22 really gone. They're big ranges, but they have big
23 mountain sides, and we're trying to figure out is it

1 this much or is it this much. Is it a big range.

2 So, we've been really enjoying
3 walking around these ranges, trying to make some
4 serious decisions lately. And it will have a major
5 impact on the future of our decisions on the small
6 arms ranges, how those are going to be cleaned up.
7 Y'all will be in the loop as we make these decisions.

8 I think that's all I have.

9 MR. CRAIG BRANCHFIELD: Good.

10 Doyle?

11 MR. DOYLE BRITTAIN: Just echo what
12 Phil said. You know, I'm reviewing documents and
13 looking at ranges and trying to get the process
14 moving. And I think we're making a lot of progress.
15 Not aware of any problems.

16 MR. CRAIG BRANCHFIELD: And JPA is
17 not here tonight. Ron, are you going to go through
18 the action summary sheet?

19 MR. RON LEVY: Yeah, I think we'll
20 do that. As part of the first point bullet from the
21 action summary sheet, what I'm going to do is, instead
22 of going through what's in the action summary sheet,
23 is let Josh Jenkins, who is sitting behind me here

1 from IT, give you an update of where we're at in the
2 placement of the wells and the work that's being done
3 on the investigation of landfill three. Josh.

4 MR. JOSH JENKINS: I have a few
5 maps here I just want to post again. Folks that were
6 here at the RAB last month are going to recognize
7 these. I think I'll just go through them one at a
8 time since I have some limited space up here.

9 But what I wanted to just update
10 you on is the work we're doing out there. We are
11 installing monitoring wells off-post, one on-post. We
12 also are sampling some monitoring wells and some
13 homeowner wells in the area.

14 As of the last meeting, we had one
15 well left to sample, which was S-5 up here to the
16 north of landfill three. That well has been sampled.
17 We have received the results. And with the exception
18 of a suspected lab contaminant, methylene chloride at
19 an extremely low level, two parts per billion, I
20 believe, there was no contaminants detected in that
21 sample that would indicate anything from landfill
22 three up there.

23 So, to date, we have sampled the

1 off-site well locations shown on this map, with the
2 exception of S-14. That location we deemed was not a
3 good location, based upon some foreign material in
4 that well. And that was -- made that decision a
5 couple of months ago.

6 MS. DONNA FATHKE: What is foreign
7 material?

8 MR. JOSH JENKINS: Well, in this
9 particular case, we actually saw an oily substance in
10 the water. That gentleman's well was struck by
11 lightning way back when. And when we pulled the pump
12 out -- first of all, the pump in the well did not
13 operate. And as most of you are aware, you got --if
14 you have a homeowner well, you have a pump in the
15 well, a submersible pump.

16 Well, this was an old pump. It had
17 been struck by lighting. The pump acted as a
18 lightning rod, so, as the electricity went through
19 there, it got to the bottom and it just caused the
20 pump to explode.

21 And in doing so, there was a little
22 bit of oil in the well pump, itself, that got into the
23 well. We felt that it would not -- trying to clean

1 that well up, would be almost impossible. And to get
2 a representative sample of the actual water in the
3 formation was really almost probably an impossible
4 effort. So, we made a determination that that was not
5 a good location to sample.

6 Now, this map shows some of our
7 proposed well locations. And last month, at this
8 time, I explained that we had these two wells up here
9 on Blarney Drive in the City of Weaver. They were in
10 the ground.

11 We have started on wells in the
12 median. To date, we have installed all four wells,
13 two up here to the north, one in the middle, and one
14 to the south of the landfill. Those are all in the
15 median. We have sampled -- or excuse me. We have
16 installed one well on the church property. And that's
17 a total of seven wells we installed to date.

18 We have one well left here.
19 OLFG-20 on post. And there is also a deep well on the
20 church property that remained to be installed. We are
21 hoping to get those wells completed this week. But
22 because of some equipment problems, it may go into
23 next week when we actually get those wells complete.

1 We are sampling some of these wells
2 here on the median that are coming up on our time
3 frame to sample. We've sampled 21 last week. We
4 sampled 22 today. We're going to sample OLFG-23
5 tomorrow. And at the end of the month, we'll sample
6 24.

7 And then the one -- the one well
8 that we do have installed in the church property, that
9 well will be coming up to be sampled in a few weeks.

10 On post, we have sampled sixteen
11 wells around the landfill. There are two wells that
12 were dry in March 2000. And those wells remained dry
13 in May when we went out to check those, check the --
14 for the presence of water in those wells, so --

15 MR. RON LEVY: Go back to the other
16 chart, Josh. Point something out. I'm going to put
17 Ellis on the spot here. I understand we have
18 potentially some good news about the well there by
19 Cave Creek, that we may be able to sample or install,
20 Mr. Brown's property.

21 MR. POPE: Well, we thought we
22 were, but we -- they haven't gotten back with us. And
23 we've repeated -- we tried to contact them and we --

1 they haven't returned calls, so it's kind of iffy
2 right now.

3 MR. RON LEVY: We're still pursuing
4 it?

5 MR. ELLIS POPE: Yeah, we're still
6 pursuing it, but we haven't been given the green
7 light, yet.

8 MR. RON LEVY: What's the well
9 number on that one?

10 MR. JOSH JENKINS: That proposed
11 well number is OLFG-31.

12 And as I mentioned, just to show
13 you this map, we have sampled sixteen wells on post,
14 two of them are dry. And we should expect to start
15 seeing preliminary results in the next week or so on
16 several of these wells.

17 That's pretty much it. Any
18 questions?

19 MR. RON LEVY: So, we should have
20 some well data to present to the RAB at the next
21 monthly meeting?

22 MR. JOSH JENKINS: I anticipate
23 that. I expect to have all of it. It should all

1 start coming in quite a bit in the next month. So, I
2 think September was when we talked about having all
3 the preliminary data.

4 MR. RON LEVY: That's right.
5 September, that's right.

6 MR. CURTIS FRANKLIN: On that first
7 map, where you found the foreign material in the well,
8 since that is so close to one of Weaver's water supply
9 wells, could you absolutely eliminate any other type
10 of contaminant other than the oil from the pump or
11 could you isolate an oil that would be consistent in a
12 pump? In other words, to make sure that there was
13 nothing else in that well, as close as it is to
14 Weaver's water supply? In other words, that's the
15 closest well you've got to a Weaver water supply.

16 MR. JOSH JENKINS: Uh-huh.

17 MR. CURTIS FRANKLIN: And to not
18 be able to sample that --

19 MR. PHILLIP STROUD: Was that a
20 sheen on it or was there a thickness to that or was --

21 MR. JOSH JENKINS: There was
22 actually some oil on the -- as we pulled the pump out,
23 the pump was coated.

1 MR. RON LEVY: But you've got other
2 wells over there off of Blarney Road that --

3 MR. JOSH JENKINS: These wells,
4 yeah, in the other map, the purpose of these wells up
5 here along Blarney Drive, our intent is to use these
6 wells as a century-type location to get them closer to
7 the City of Weaver, monitoring wells.

8 MR. CURTIS FRANKLIN: But that
9 other well is much closer to Weaver's water supply
10 than those are on Blarney Drive.

11 MR. JOSH JENKINS: Yes, sir, it --

12 MR. CURTIS FRANKLIN: And that was
13 what concerned me, to have a well that close and not
14 be able to get some kind of reading of any other
15 contaminants that might be in there besides the oil
16 from the -- that might have come from the pump.

17 MR. RON LEVY: Well, I think if you
18 look, though, I mean, you've got wells that are
19 essentially circling the landfill right directly
20 across the road. Depending on what you see there, I
21 mean, if they come up clean, then you obviously aren't
22 looking at a down gradient -- or you shouldn't be
23 looking at a down gradient, depending on which way the

1 water is flowing. So, you've got a means to jump off.

2 In other words, you're looking
3 between the landfill and the wells to begin -- the
4 landfill and the Weaver wells to begin with.

5 MR. JOSH JENKINS: This well was
6 originally proposed to be included in our sampling
7 program because it was a known well location, it was
8 in some publications that it referenced that location,
9 so we thought we would go out and check on that
10 particular location. And when we did, we just thought
11 it was in poor condition.

12 MR. JERRY HOPPER: If it was a
13 floating oil, you could take a subsurface sample and
14 probably get a degree of accuracy. But being actually
15 in the water, you -- even if you went through an
16 aqueous matrix cleanup, if you did detect something,
17 you wouldn't have any certainty that it was still not
18 matrix interference.

19 MR. JOSH JENKINS: That's correct.

20 MR. JERRY HOPPER: So, another well
21 would probably be the best bet, close to that.

22 MS. DONNA FATHKE: Where are those
23 -- those are two different scale maps. Where are

1 those two wells compared to S-14?

2 MR. JOSH JENKINS: Those two wells
3 are up in this general area up in here. (Pointing.)
4 So, these two wells are actually closer to the Weaver
5 supply well number two.

6 MR. PHILIP STROUD: What about the
7 geology, is it staying consistent with what we've seen
8 all along?

9 MR. JOSH JENKINS: What I've seen
10 so far is, yes. I need to look closer to determine if
11 we do have any type of brecciation and deformation in
12 the rock that would suggest we got faulting over
13 there. But we're looking at red mud stones over in
14 here, which is consistent with what we've seen in some
15 of the previous work. Up here, we are seeing some
16 limestone-type rock, which is also consistent with the
17 formation.

18 MR. CRAIG BRANCHFIELD: This is not
19 the spot where you thought you saw a geologic anomaly
20 that might suggest the water was going out and just
21 looping right back around and going back under the
22 landfill? Or am I thinking of something different?

23 MR. ELLIS POPE: This is it.

1 MR. JOSH JENKINS: We're still --
2 well, at this point, we're still -- we are seeing some
3 deformation in these borings, in the geology that
4 we're seeing. So, what we have yet to do is actually
5 sit down and plot this data. We're still -- we still
6 have the data preliminary at this point. And we
7 haven't integrated that with the stuff that we've
8 done, previously.

9 No more questions?

10 MR. RON LEVY: Let me go back into
11 the other points in the action summary sheet. During
12 the last RAB meeting, I believe you were given a
13 briefing on the Alpha, Bravo EE/CAs, so you got a
14 little bit of the status on that. And we're nearing
15 completion of the investigation, which is the EE/CA
16 portion of the Alpha. And those things that, to this
17 point, have been identified in the Alpha area -- I
18 mean, we're coming across very little surprises, I
19 think, in the Alpha area. We are seeing some things
20 that we expected to see. And we're still in the
21 process of trying to delineate.

22 Bravo area, they're moving through
23 the grids. It's slow going. I know part of it's

1 vegetation issues and trees and whatnot. But they're
2 still moving through that.

3 And we mentioned some of the things
4 that have been found to date. Now, that's not -- it
5 doesn't tell you anything until we really look at it
6 in total from the standpoint of the report. And I
7 believe all of this was briefed to you during the last
8 meeting. This is just a little bit more update in
9 terms of things that we found. Let me mention also
10 that there is a lot of personnel out there with Foster
11 Wheeler working on site.

12 Joe Cudney just gave you a brief on
13 the CWM. And that's all pretty good news.

14 The eastern bypass, one of the
15 things we're working presently now is an action
16 memorandum, because we're moving to do clearance in
17 the tract two portion. And we're also working in
18 explosive safety submission, which is discussed there.
19 Both of those are documents that go through Army and
20 DoD channels. Well, at least the action memorandum
21 goes through Army channels for approval, which says
22 this is what we propose to do and this is what we're
23 going to do. And the explosive safety submission

1 basically says how we're going to do it to ensure that
2 the folks out there are safe.

3 There has been some work already
4 started out there that's not intrusive in nature.
5 It's essentially the brush clearing that's going on.
6 This is an addition to the logging operations that's
7 going on by the -- that the Army has put in. But
8 Foster Wheeler has to do additional brush clearing so
9 they can get down closer to the ground by removing
10 more of the trees that were left on site and a lot of
11 the brush that's still out there. So, part of our
12 discussion goes into that.

13 Also mention that ALDOT's placing a
14 fence on the southernmost portion. It's tract three.
15 Don't have a map up there. It's the other one over to
16 the right, the furthest one to the right, Joe, to my
17 right.

18 ALDOT's also talked about wanting
19 some additional property, right-of-entry property, so
20 that they can build some catch basins, some dams,
21 because of water run-off that's going to be coming off
22 of the tract three property, which we're in discussion
23 with them on. We're expecting them to define --

1 better be able to define what it is they're looking
2 for before we give them any approval on that.

3 MAJOR MORRISON: Tract one.

4 MR. RON LEVY: And as was talked
5 about during the last RAB meeting, the prescribed burn
6 for Caffee Hill has been put off. And, Bill, I
7 understand that given weather conditions and it
8 doesn't look like they'll be able to do a burn.

9 MR. BILL GARLAND: Probably just go
10 back to winter burns. The next --

11 MR. RON LEVY: This summer?

12 MR. BILL GARLAND: -- consideration
13 will be sometime November on.

14 MS. DONNA FATHKE: Well, no danger
15 of a forest fire this summer, though, huh?

16 MR. BILL GARLAND: No so far, not
17 here.

18 MR. RON LEVY: I'm prepared to take
19 any questions about restoration activities that are
20 going on around post.

21 Before I turn it back over to
22 Craig, I think, Joan, you wanted to talk about the
23 election process?

1 MS. JOAN MCKINNEY: Yes. This was
2 the first RAB meeting that we tried sending it out to
3 you all on e-mail, and we wanted to find out if that
4 was satisfactory and did it all work real well? Now,
5 we like it. Obviously, it makes it much easier for
6 us.

7 But also what it does for us is it
8 gives us feedback, because many of you responded and
9 said, I got it and I'll be there. Which leads me to
10 my next question: Do you want us to continue with
11 that reminder call? You know, we've been calling. I
12 mean, you know, we'd like to eliminate that, too, but
13 we'll do whatever the RAB needs us to do to help you
14 get to the meetings and participate. We can eliminate
15 the calls?

16 MS. MARY HARRINGTON: E-mail is
17 better for me.

18 MS. DONNA FATHKE: Yeah, me, too.

19 MS. JOAN MCKINNEY: Well, we'd
20 still do the e-mail, but then we'd -- if you wanted us
21 to back it up with a reminder call for the meeting,
22 we'd do that. You know, we got a really good response
23 this time from you all that said, I got the e-mail and

1 I'll be there. All right then, because it's coming in
2 towards the end of the week, then we'll just continue
3 like that and eliminate the phone call, if that's
4 okay.

5 Now, if any of you have any
6 problems opening that attachment, if you would contact
7 Diane, she'll work with you and make sure that we get
8 it to you in the format that your computer receives
9 it, your eudora or whatever system you're using, we'll
10 get that in the proper format.

11 MR. RON LEVY: Joan, I wanted to
12 make available Joe's slides, if we could do that
13 either through e-mail or send them out during the next
14 go round for anybody that wants them. I mean, don't
15 want to overwhelm anybody with paper.

16 MS. JOAN McKINNEY: Right. And
17 using this is going to give us a lot of opportunities
18 to give you a lot more information. And so you can
19 tell us if you want copies --

20 MR. DOYLE BRITTAIN: Make it a part
21 of the minutes.

22 MR. BOB SELFRIDGE: Wait, guys.
23 No, no, this is a really big --

1 MS. MARY HARRINGTON: That's big.
2 Just like that is big.

3 MR. JOE CUDNEY: About thirty
4 megabytes.

5 MR. RON LEVY: Yeah. And the only
6 thing we may be able to do is send it out by mailing
7 because of the size of it. It will lock the system
8 up, turn it off and --

9 MR. FERN THOMASSY: Can you cut it
10 on a CD? Is it in Power Point?

11 MR. CRAIG BRANCHFIELD: Could we
12 just put something in the message to Joan that says,
13 if you want it, e-mail me back and we'll mail you a
14 copy of the presentation? Would that be all right?

15 MS. JOAN McKINNEY: Yes, we'll do
16 that.

17 MR. CRAIG BRANCHFIELD: That way
18 anyone who wants it can get it and anyone who doesn't
19 want it, you don't have to bother with it.

20 MS. JOAN McKINNEY: This is going
21 to be a much better communication. Thank you.

22 MR. CRAIG BRANCHFIELD: Good.
23 Thanks. Anything else, Ron?

1 MR. RON LEVY: No.

2 MR. CRAIG BRANCHFIELD: Does anyone
3 on the RAB have any questions or items they would like
4 to add to the agenda before we turn it over to the
5 audience for any comments? No? Any comments or
6 issues the audience would like to raise?

7 MR. FERN THOMASSY: Yeah, one
8 thing, Craig. I still -- I would like to have a
9 follow-up at the next meeting on the chemical
10 materials investigation, see where we are and see how
11 soon we can get that press release out and the
12 information to the JPA, because I haven't seen
13 anything more important to the perception of the
14 community and the things that the JPA can put out now
15 safely than the conclusions that are coming out of
16 this study.

17 MR. RON LEVY: When you say an
18 update, what's come out of the sampling to --

19 MR. FERN THOMASSY: Yeah. So,
20 we're at the point now, we're not playing in the
21 margins anymore, we've got certainty, and we can go
22 ahead and make public statements.

23 MR. CRAIG BRANCHFIELD: Good.

1 MR. CURTIS FRANKLIN: Do you still
2 plan to have your September meeting in Weaver? That
3 was mentioned a couple of meetings ago.

4 MS. JOAN McKINNEY: Yes.

5 MR. CURTIS FRANKLIN: Okay. I'm
6 sort of new on here, but something that concerns me,
7 I'm sure that there will be a good representation from
8 the citizens of Weaver, because water is a major
9 concern, and I would urge whoever makes the
10 presentation on water sampling, get it in language
11 that people can understand. They don't understand
12 technical terms that well, and I think that -- I'm
13 convinced that we don't have a problem, but you need
14 to reassure people that come there probably with a
15 notion already slanted toward, you know, we're going
16 to be poisoned, because frankly, some of the media
17 doesn't really help allay those fears.

18 And I think working on getting it
19 where the people can understand and be reassured can
20 be very important to this group and to this effort.
21 And I think that we'll probably have a good group of
22 citizens there. And I know that sometimes they can
23 get riled up. And I think they need to be reassured

1 and I think that you've got the information to
2 reassure them.

3 MS. MARY HARRINGTON: We met in
4 Weaver before, correct?

5 MR. JERRY ELSE: Yes.

6 MR. FERNAND THOMASSY: Yes.

7 MS. MARY HARRINGTON: We've met in
8 Weaver before.

9 MS. DONNA FATHKE: I agree with
10 Mr. Franklin, because we've kind of become immune to
11 the barrage of acronyms. And even then, I mean, even
12 today, I had to search around to see what one meant.
13 But now, we're going to be going in front of people
14 who don't come to these meetings regularly, and we
15 really need to bring -- get rid of the acronyms and
16 bring it down to lay terminology.

17 MR. RON LEVY: I agree. We
18 sometimes forget who we're talking to. And I will be
19 the first to admit --

20 MR. CURTIS FRANKLIN: Because some
21 people, they get a little bit suspicious. Or let's
22 say it reinforces their suspicions, you know, if you
23 start using acronyms and technical terms too much.

1 And I think that this group does a tremendous job.
2 You've got a lot of resources here. But getting the
3 word to the people is going to be the secret to it.

4 MR. RON LEVY: We actually try to
5 -- when we first make a presentation -- when we first
6 decide we're going to make a presentation, to
7 pre-brief it so that we can try to bring it to a level
8 that's understandable by just a basic laymen, but
9 sometimes we don't get there.

10 But from the RAB's perspective, to
11 help us out, if we say anything, if we give you an
12 acronym, stop us immediately, and we will take that
13 question and make sure we answer it fully in terms
14 that you understand, as opposed to just letting it go
15 by.

16 MS. MARY HARRINGTON: I agree with
17 -- because we are used to the acronyms. But not only
18 that, but -- maybe I'm kind of missing it, but as
19 members of the RAB, when we know that meetings are
20 going to be in our perspective areas, then that's kind
21 of our responsibility to let the people know and serve
22 as ambassadors for the people, you know, well, this is
23 your time, you need to come out because some positive

1 things are going on and this is what they're going to
2 be talking about. And if there is something that you
3 may not understand, you know, you need to stop them,
4 because they are used to doing it, but they'll break
5 it down for you. And that's kind of our job, to let
6 them know that they can do that.

7 MR. CURTIS FRANKLIN: And rather
8 than relying on rumors or what somebody said or what
9 somebody heard, they can come to those meetings and
10 get facts from this group.

11 MR. CRAIG BRANCHFIELD: I also
12 believe that, taking it a step further, I mean, as
13 members of the RAB who are here to help represent the
14 interest of the community, that for those of us who
15 are familiar with the acronyms and familiar with the
16 issues at hand, to express our view in public, whether
17 it's positive or negative, is very beneficial to those
18 from the community who are attending who aren't so
19 familiar, because we are independent, we have -- you
20 know, our interests are parallel and, to some extent,
21 identical to the rest of the community. And we're
22 sort of an independent observer. And so hopefully, I
23 would hope that, you know, the RAB has enough

1 credibility with the community that if we express an
2 opinion, be it positive or negative, the community, it
3 would reassure them one way or the other regarding
4 what's been presented.

5 Any other comments or questions? I
6 think that's a very good point and a good discussion
7 right there. No?

8 Okay, before we toss out -- wait,
9 real quick. Audience comments? Did we have any
10 comments or questions from the audience?

11 Before we toss out a motion to
12 adjourn, I just want to mention real quick for the
13 purposes of the minutes that Mr. Freeman and
14 Mr. Buford walked in after we took the attendance.
15 And with that said, do I have a motion to adjourn?

16 DR. MARY HARRINGTON: So moved?

17 MR. CRAIG BRANCHFIELD: Second?

18 MS. DONNA FATHKE: Second.

19 MR. CRAIG BRANCHFIELD: We're out
20 of here. Thanks.

21 (WHEREUPON, the meeting was concluded.)

22

23

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

C E R T I F I C A T E

STATE OF ALABAMA)
CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, a Court
Reporter and Notary Public in and for The State of
Alabama at Large, duly commissioned and qualified,
HEREBY CERTIFY that this proceeding was taken before
me, then was by me reduced to shorthand, afterwards
transcribed upon a computer, and that the foregoing is
a true and correct transcript of the proceeding to the
best of my ability.

I FURTHER CERTIFY this proceeding
was taken at the time and place and was concluded
without adjournment.

1 IN WITNESS WHEREOF, I have hereunto
2 set my hand and affixed my seal at Anniston, Alabama,
3 on this the 20th of July, 2001.

4

5

6

7

8

9

SAMANTHA E. NOBLE

10

Notary Public in and for

11

Alabama at Large

12

13

14 MY COMMISSION EXPIRES: 11-14-2001.

15

16

17

18

19

20

21

22

23