

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at
Hodges Community Center, Golden Springs, Alabama, on
the 18th day of June, 2001, commencing at
approximately 6:30 p.m.

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-61
CERTIFICATE62-63

1 MR. DON CUNNINGHAM: If you all
2 will give me your attention, we'll get started. We're
3 a couple of minutes early, but I don't think anybody
4 will argue with that, since we have the
5 air-conditioning is a little bit on the deficient side
6 today.

7 Dr. Cox was not available, could
8 not be available tonight, and asked me to sit in for
9 him. So, if you will bear with me as we go through
10 this, we'll make it through the meeting and I think
11 everything will be fine.

12 I don't know if there is anyone
13 here from the Golden Springs Community Center. I
14 don't think so. But anyway, we'll convey our
15 appreciation to them for allowing us to meet here
16 tonight.

17 We have the pleasure, first off,
18 before we get into the business, I would like to take
19 the pleasure of introducing our new member. We have
20 two new members to the board. One of them is not
21 here, yet, but we have Mr. Gary Stratton. And we're
22 very pleased to have him with us. And we're looking
23 forward to Gary's contribution to this effort here.

1 And I would like to introduce
2 Mr. Freeman as the other new board member from
3 Solutia. And welcome aboard, sir. And we hope to
4 make your attendance with us very profitable for the
5 board and for yourself.

6 We probably should go around the
7 room, I think, at this point, and introduce the folks
8 around the room here. If we start over here on the
9 left, Mr. Potter, and right around the room.

10 MR. PHIL POTTER: I'm Phil Potter
11 with Foster Wheeler.

12 MR. PAUL JAMES: Paul James from
13 the Transition Force, Environmental Office.

14 MR. BOB DAFFRON: Bob Daffron, Fort
15 McClellan, National Guard.

16 MR. JOE DOYLE: Joe Doyle, Legal
17 Office, Transition Force.

18 MR. JOSH JENKINS: Josh Jenkins,
19 IT Corporation.

20 MR. LEE JAY: Lee Jay,
21 Fort McClellan, Transition.

22 MR. STEVE DOSS: Steve Doss, Foster
23 Wheeler.

1 MS. WANDA CHAMPION: Wanda
2 Champion.

3 MS. DIANE WILKERSON: Diane
4 Wilkerson with the RAB.

5 MS. JOAN MCKINNEY: Joan McKineey
6 with the RAB.

7 MR. DANNY WILKERSON: Danny
8 Wilkerson, concerned citizen.

9 MS. KAREN PINSON: Karen Pinson,
10 Transition Force.

11 MS. SUZANNE MURDOCK: Suzanne
12 Murdock, Corps of Engineers in Huntsville.

13 MR. BILL SHANKS: Bill Shanks,
14 Fort McClellan, Transition.

15 MR. DON CUNNINGHAM: And we have
16 someone that just came in. Would you introduce
17 yourself, ma'am.

18 MS. ELIZABETH BLUEMINK: I'm
19 Elizabeth Bluemink, I'm with the Anniston Star.

20 MR. DON CUNNINGHAM: Well, we're
21 certainly happy to have all you folks with us tonight.
22 And we'll try to -- we'll open -- at the end of our
23 meeting tonight, after the conclusion of all our

1 presentations, we'll open the floor for any comments
2 or questions from the audience. So, we will proceed
3 in that direction then.

4 At this time, I would like to call
5 the roll for the month of June. Mr. Glynn Ryan.

6 MR. GLYNN RYAN: Present.

7 MR. DON CUNNINGHAM: Mr. Ronald
8 Hood?

9 MR. RONALD HOOD: Here.

10 MR. DON CUNNINGHAM: Mr. Scott
11 Beckett? Mr. Craig Branchfield? Mr. James Buford?
12 Mr. Monty Clendenin?

13 MR. MONTY CLENDENIN: Here.

14 MR. DON CUNNINGHAM: Mr. Pete
15 Conroy? Myself. Mr. Jerome Elser?

16 MR. JERRY ELSE: Here.

17 MR. DON CUNNINGHAM: Ms. Donna
18 Fathke?

19 MS. DONNA FATHKE: Here.

20 MR. DON CUNNINGHAM: Mr.
21 Curtis Franklin?

22 MR. CURTIS FRANKLIN: Here.

23 MR. DON CUNNINGHAM: Dr. Mary

1 Harrington? Mr. Jerry Hopper? Mayor Kimbrough?

2 MAYOR WILLIAM KIMBROUGH: Here.

3 MR. DON CUNNINGHAM: Fernand

4 Thomassy? Mr. Tom Turecek? Mr. Ron Levy?

5 Mr. Doyle Brittain?

6 MR. DOYLE BRITTAIN: Here.

7 MR. DON CUNNINGHAM: Mr. Philip

8 Stroud?

9 MR. PHILIP STROUD: Here.

10 MR. DON CUNNINGHAM: And

11 Mr. Shannon Golden? Okay.

12 MR. PHILIP STROUD: He's not here.

13 MR. DON CUNNINGHAM: All of you, I
14 think, have been provided the minutes of our meeting
15 from the last -- from the May meeting. Have you had a
16 chance to review those? Are there any questions
17 concerning those minutes? Any comments relative to
18 those minutes? Do I hear a motion for the approval of
19 the minutes for the month of May?

20 MS. DONNA FATHKE: So moved.

21 MR. DON CUNNINGHAM: And I hear a
22 second?

23 MR. RON HOOD: Second.

1 MR. DON CUNNINGHAM: So, the
2 minutes have been approved for the month of May, and
3 that becomes a matter of record.

4 Our agenda tonight includes, first
5 off, we'll talk any old business that we have
6 remaining from -- holdover from our last meeting. Is
7 there any old business that we need to address at this
8 point? Apparently, we don't have any old business.

9 So, new business? We will have a
10 series of reports from our various representatives
11 tonight. We're happy to have with us Mr. Phil Potter,
12 Foster Wheeler Environmental Corporation. And we've
13 asked him to make a presentation on the Alfa and Bravo
14 areas for the cleanup. And I think at this point,
15 Mr. Potter, we'll go ahead.

16 MR. PHIL POTTER: Thank you. I
17 want to thank everybody for coming tonight. As was
18 mentioned, the focus of tonight's presentation is to
19 provide a status of the ordnance and explosives EE/CA
20 sampling program at Fort McClellan in what we call the
21 Alfa and the Bravo areas.

22 The purpose of this presentation,
23 primarily, is to provide the status of where we are at

1 this point, but I also want to review some of the
2 activities that led up to the start of the EE/CA.

3 For those of you that don't know,
4 an EE/CA is an engineering evaluation and cost
5 analysis. This is a study to provide information on
6 where the ordnance items are at Fort McClellan, what
7 the concentrations are, and to characterize the area.
8 This is not a step to go ahead and do a removal or a
9 cleanup, at this point. This is only to determine
10 what cleanup may be necessary in the future.

11 So, I'll review the activities that
12 led up to the start of the EE/CAs. I'll review the
13 geophysical surveys, which is our primary method of
14 sampling out there, provide a status of the work
15 complete to date, and give some very preliminary
16 information on some things.

17 Prior to actually starting the
18 EE/CA process, itself, we did what was called concept
19 planning. And the reason for doing that was to design
20 a data collection process to make sure that we had the
21 right quantity and quality of data to perform the risk
22 assessments that have to be performed out there to
23 make decisions on where cleanups need to be.

1 The primary reason for -- the
2 primary focus of the concept planning was to get out
3 in the field and identify areas that we thought may
4 have high densities of ordnance and explosive
5 concentrations versus low density concentrations. And
6 that really helped us in determining where we should
7 focus our efforts during the sampling program.

8 And as -- that's basically what
9 that third bullet says, is to more efficiently and
10 effectively plan our geophysical investigation.

11 The reconnaissance that was the
12 main part of the concept planning consisted of a
13 records review. There were four main documents there
14 that we looked at the historical records and studied
15 those.

16 This was followed by a field
17 reconnaissance phase. In the field reconnaissance, we
18 took the information from the studies or from the
19 historical information that told us locations of known
20 range fans, the proximity to the firing points within
21 those fans, the type of ordnance that were used in
22 those fans, and also the topography, i.e., if there
23 were some hillsides facing a target area or that would

1 have acted as a natural backstop. And those areas we
2 looked at pretty intensively, as well.

3 Of course, this was just a
4 reconnaissance here, so this is prior to the EE/CA
5 starting and was not really meant to characterize the
6 areas. It was only meant to give us a preliminary
7 idea of what was where so that we could confirm the
8 historical records and plan our sampling activities,
9 accordingly.

10 The archive search report prepared
11 by the Corps of Engineers is one of the primary
12 documents for looking at the historical information.
13 And this map is a compilation of the ranges that were
14 determined to be present there at Fort McClellan in
15 the archive search report.

16 The green areas are small arms
17 ranges, which are not the primary focus of an EE/CA.
18 The pink areas are larger ordnance ranges, which
19 really start to get into some of the ordnance that
20 we're interested in when we do our EE/CA.

21 You can note from this map that
22 there is sort of clusters of ranges and then areas in
23 between where there are no known ranges. This again

1 gave us a good starting point to go in to try to
2 confirm what we thought would be some high density
3 areas in these clusters of ranges and also --
4 therefore, also help us predict where some of the low
5 density areas may be. And you can see a pretty good
6 separation here from this ASR plate.

7 Following the reconnaissance, now
8 we're getting into really planning the details of the
9 EE/CA, itself. This is the entire base here shown.
10 And for the purposes of performing the EE/CA and
11 deciding where to do your sampling, you have to break
12 the entire area down into sectors, sampling sectors.

13 You note here that there is a lot
14 of areas that -- quite a few areas that are in bright
15 red or pink, pinkish, red color. Those are high
16 concentrations that were -- that correspond fairly
17 well with some of those clusters of ranges that we
18 saw.

19 The black labels here are the
20 sector designations. And the last letter here
21 designates whether it's a low, medium, or high density
22 area. The yellows are medium, red is high, and green
23 is low.

1 We also -- one of the first steps
2 to do was to divide the area into more than just one
3 EE/CA. If you put all of this in one EE/CA, it would
4 be a pretty complex study. And it was decided that
5 breaking it out into phases made more sense.

6 What we call the Alfa area consists
7 of these three sampling sectors right here. That area
8 was broken out separately because there were no known
9 large high concentrations of ordnance in that area and
10 it was felt that it may be better to go ahead and take
11 a look at those. That may be an area that could be
12 addressed relatively quickly in both the study phase
13 and in any potential cleanup, and go ahead and
14 potentially free up that area first.

15 The Bravo area down here,
16 surrounded by this blue line, consists of ten sampling
17 sectors. And that encompasses a lot of the large
18 firing ranges and high concentrations of ordnance that
19 were known to exist at the base. We assumed -- and I
20 believe it's still a correct assumption -- that the
21 complexity of the topography, as well as all the
22 ordnance that's there in these impact areas, that this
23 would be an area that would probably take a little bit

1 longer to both do the study on and to do any potential
2 cleanup that would need to happen. And so that was
3 broken out into a separate EE/CA.

4 The Charlie area consists of all of
5 this entire area here, as well as these outliers
6 (phonetic) here. This is the main core of the
7 Choccolocco mountains, through here. And this land is
8 scheduled to go to Fish & Wildlife Service, so, having
9 a different end use there, it made sense to break that
10 area out into a separate EE/CA, as well.

11 So, the order of the Alfa, Bravo,
12 Charlie is the order that we're performing these
13 things in. It's probably the order that things will
14 be finalized in within the base.

15 When we do our EE/CA study, the
16 primary method of doing the investigation is to do
17 geophysical sampling, look for buried, metal objects.
18 We do this in several different ways. One is to
19 define a number of grids in an area, randomly place a
20 large number of those grids within a sampling sector,
21 and collect geophysical data within a portion of that
22 grid.

23 For purposes of trying to eliminate

1 as much brush cutting and tree cutting as possible, we
2 defined grids that were twice as large as the amount
3 of sampling that would take place in order to give us
4 a little bit of leeway and not have to cut down as
5 many trees.

6 But basically, we have grids that
7 we do half an acre of geophysical data within and a
8 quarter acre of geophysical data within.

9 The second method of data
10 collection is still the geophysical method. EM-61, by
11 the way, stands for electromagnetic detectors 61.

12 And the transects, both transects
13 and the grids, use that type of detector. That's the
14 best equipment that we've found for this area out
15 here.

16 For the transects, we don't confine
17 ourselves to grids. We run single lines a meter wide
18 and sort of zigzag those up the hillsides in order to
19 collect the data. That's a better data collection
20 method for steep areas where you can't lay out a nice
21 grid on a steep hillside.

22 When we take this geophysical data,
23 the purpose is to give ourselves a map of metallic

1 objects that have been located in the subsurface.

2 Let me go to the next slide, a
3 little further into it. I'm going to concentrate on
4 some of the geophysical data within the Alfa area at
5 this point.

6 Within the Alfa sector grids, we
7 had a total of a hundred and twenty-nine grids in that
8 area, which we have gathered sixty-four and a half
9 acres of geophysical data. This shows the overall
10 acreage of each of the three sectors in the Alfa area,
11 the amount of sampling acreage associated with that,
12 so you can sort of get an idea of what this sampling
13 looks like spread out throughout the Alfa area.

14 It's just over eight hundred acres
15 of total area. And we're collecting sixty-four and a
16 half acres of data within that area.

17 The grids are placed both random
18 and discretionary is -- 80 percent of the sampling
19 grids are placed by a random number generator in our
20 geographic information systems system and 20 percent
21 are discretionary, i.e., Foster Wheeler decides that
22 for these other 20 percent of the grids, we would like
23 to investigate a particular hillside that we maybe

1 think was a backdrop or a firing point or some focus
2 of interest that was not covered by one of the
3 randomly placed grids.

4 The two posters up here, which you
5 can't really see too well right now --

6 MS. JOAN MCKINNEY: Sorry. I can
7 put the lights on.

8 MR. PHIL POTTER: Yeah, just for a
9 minute if you would.

10 MS. JOAN MCKINNEY: Sure.

11 MR. PHIL POTTER: This is the Alfa
12 area here and this is the Bravo area over there. This
13 shows the -- you can see the grids scattered through
14 the Alfa area here. Bravo area I'll get to in just a
15 minute. But this is color coded. And you can feel
16 free to come and look at it when you get a chance
17 after the meeting. But it shows the stage that we
18 have developed our field work within the Alfa area.
19 And each grid is color coded just according to how far
20 along that grid has gotten.

21 MS. DONNA FATHKE: Question.

22 MR. PHIL POTTER: Yes.

23 MS. DONNA FATHKE: Why on MS-61L,

1 since it's a low density area, why did it get the
2 highest percentage of coverage?

3 MR. PHIL POTTER: It's a
4 statistically-based program that the risk model will
5 be run off of. But in general, it takes more sampling
6 to prove an area clean than it does to confirm an area
7 dirty. You can imagine if you go into a high density
8 area, you sample a few grids, you find large amounts
9 of ordnance like you expected, and you sort of confirm
10 that this is an area that's going to need further
11 assessment or further -- potentially, a removal
12 action. In low areas, if it's an area that
13 potentially will not have a removal action, you need
14 more data to confirm that you will not need a removal
15 action in that area.

16 MS. DONNA FATHKE: But the other
17 low area doesn't show that same high percentage.

18 MR. PHIL POTTER: Right. It also
19 depends on the total number of acres. The smaller the
20 area -- and I can't get into all the statistics with
21 you, that's --

22 MS. DONNA FATHKE: Sure.

23 MR. PHIL POTTER: -- that's not my

1 bag. But the smaller the area, the larger percentage
2 it takes to statistically prove the area.

3 MS. DONNA FATHKE: Okay.

4 MR. PHIL POTTER: On to the status
5 of where we are. Of the hundred and twenty-nine grids
6 that are shown on that map over there, we have
7 surveyed in -- this is just standard surveying
8 procedures -- all one hundred and twenty-nine. We
9 surface cleared all hundred and twenty-nine grids of
10 OE and we've brush cleared a hundred and twenty-three.

11 The surface clearance is something
12 that has to be done before we get in there with the
13 geophysical instrumentation. The geophysics is
14 predominately designed to show us varied metallic
15 objects.

16 Of course, anything that's on the
17 surface, you don't really need geophysics, you just
18 need eyeballs to see that. So, we go in and we
19 surface clean the metallic objects off the surface so
20 that they will not interfere with the subsurface
21 readings that we (inaudible) geophysics.

22 And then brush clearance is
23 required just to allow us to easily carry around our

1 instrumentation.

2 Data collection within the Alfa
3 area, one hundred and eleven of the hundred and
4 twenty-nine grids, has had the geophysical survey
5 completed and the data has been processed. Fifteen
6 grids have undergone anomaly reacquisition. And what
7 that's all about is that following the data collection
8 phase, there is a phase called data validation, which
9 essentially means that you go in and you dig up a
10 portion of the subsurface metallic items that you've
11 spotted with your geophysics to see what it is.

12 And the idea is that you are sort
13 of calibrating your geophysics and looking at
14 anomalies and then going and checking out what those
15 anomalies are in real life. It's a way to give you
16 some ground truth of the geophysical data that you're
17 collecting.

18 And in order to actually dig those
19 items up, you first have to go back out and use your
20 navigation system to reacquire their location and then
21 you can excavate them. So, that's what the fifteen
22 grids is, the reacquisitioning.

23 A little bit more detail about the

1 work flow that I've been talking about. As I
2 mentioned, the first block on the upper left there is
3 just a survey, with standard surveying equipment.
4 Come in and do the brush clearance. The geological --
5 I mean, the geophysical data is collected in the
6 field. It's interpreted by our on-site geophysicist
7 there at the office in Fort McClellan. We have three
8 geophysicists present at this point.

9 The geophysical data is then
10 quality controlled in that the on-site guys make their
11 interpretation of where they think the metallic
12 objects are located within these grids and transects.
13 They then send that interpretation up to Denver, to
14 our Denver office, where we have some experienced --
15 some geophysicists with a lot of experience, to QC,
16 the picks that they've made on the anomalies, do they
17 think that those anomalies are important anomalies.
18 And then they send it back down sometimes with a
19 little tweaking of which anomalies they thought were
20 important to pick on that particular grid.

21 On the bottom row there, the next
22 step is to generate a sheet that gives the coordinates
23 that the guys can actually go out in the field and

1 excavate these subsurface anomalies, find out what
2 type of buried metal object it actually was that was
3 giving us that signal.

4 The reacquisition, as I mentioned,
5 was part of that. We just placed a flag at the spots
6 that needed to be dug. The intrusive activity is the
7 actual digging itself of the ordnance item.

8 The results of that are then
9 reported back to the geophysicists so the
10 geophysicists can then look at the geophysics that
11 they started with, look at the metallic items that
12 were found in the field, and make sure that there is a
13 good connection there, that we are not seeing --
14 finding a bottle cap where we thought we were going to
15 see a large metal object of some sort or vice versa,
16 so that we make sure that we're really checking our
17 results as we go and then making sure that everything
18 makes sense.

19 And if there is an anomaly that
20 they report back an item that doesn't make any sense,
21 the guys go back out in the field and see if they can
22 actually find what was giving that anomaly in the
23 first place.

1 This is just an example of one of
2 our geophysical grids. This represents a half an acre
3 right here. The black lines, going back and forth,
4 are the actual path of the person walking with the
5 EM-61 instrument.

6 The background is green there.
7 That would indicate that there was no metallic object
8 in there in the green areas.

9 You can see these other areas where
10 you start getting a little bit of higher amplitude
11 colors, as we would say, yellows, then oranges, then
12 red and pink. Those are the really, either larger
13 items or very close to the surface items that are
14 pink. As you can see, some of them are much more
15 subtle than others, some are pretty well defined, and
16 then some of them kind of scream out at you.

17 The areas over here out to the
18 side, they place rebar out in the field and
19 occasionally go across that rebar with their detector.
20 Then when they're processing the data, that gives them
21 another quality control point to look at and make sure
22 that they're getting proper readings when they cross
23 over the rebar to check that.

1 This second slide is just that same
2 grid area with the anomalies picked. A lot of you
3 probably could have picked a good many of the
4 anomalies that our geophysicists picked. They're
5 probably some of the more subtle ones that you all
6 wouldn't have picked, but I think there was twenty-one
7 or twenty-two anomalies picked on this grid, which
8 would be suspect items.

9 And if this were one of the grids
10 where we were going and doing our intrusive activity,
11 they would dig those up to find out what they are and
12 try to correlate the signal that they're getting with
13 the geophysics with the item in the ground.

14 These are just the items that they
15 would go back out and dig up, if this were one of the
16 grids that we were doing the intrusive activities on,
17 to then match the item with the geophysics that we had
18 seen in our data collection.

19 MR. CLENDENIN: Question. What
20 range of depth, how deep do the deepest and how
21 shallow the shallowest? The surface, I guess.

22 MR. PHIL POTTER: The
23 instrumentation varies. It also depends on geologic

1 conditions. Anywhere from about up to about four feet
2 is -- depending on -- and it also depends on the size
3 of the item. You're not going to see a bottle cap
4 very easily at four feet.

5 A. Very large item, you could see at ten feet.
6 If they had bombs out here, which they didn't, you may
7 be able to see a bomb or a Volkswagen or something at
8 ten feet. So, it's very dependent upon the depth of
9 the item, as well as the size of the item. Most of
10 the items that we have seen out here so far, in the
11 little bit of intrusive we've had, have been fairly
12 close to the surface.

13 Don't really have the results of
14 the items that we've excavated from the subsurface
15 yet, but here are some of the items that we found when
16 we were doing our surface clearance of the sampling
17 grids. In the Alfa area, one seventy-five millimeter
18 projectile high explosive, unfused in the A-2 area.

19 There was one area here, the A-73,
20 A-74 area. And Steve is pointing to that area over
21 there, right in that area, where we found quite a few
22 items. As you'll see, there is eighteen 2.36 inch
23 rockets, three M-39 rifle grenades, all practice

1 items. But that's one area where it was located.

2 We had defined that sector as a
3 medium sector, a medium density sector. With the
4 medium sectors, we expected to go in with our sampling
5 activities, and at the time of characterizing these
6 things, we expected the mediums to fall out into
7 potentially some high areas where, as we came across
8 areas of more activity, with low areas in between.

9 So, it wasn't too unexpected that
10 in a medium area we would find a cluster of ordnance
11 items like this. But what that's going to do is give
12 us a little high -- a little high density area within
13 the corner of that sector that Steve pointed to just a
14 minute ago.

15 We found one Livens projectile with
16 smoke material inside; three three and a half inch
17 rockets, those were practice rockets; and one four
18 inch stokes mortar with white phosphorous middle or
19 material inside.

20 MR. PHILIP STROUD: I know I've
21 asked this before, but you usually find three inch
22 stokes mortar. What was the four inch again, the
23 design of the four inch?

1 MR. PHIL POTTER: I'm not really an
2 ordnance person, but it's far less common, I know
3 that.

4 MR. PHILIP STROUD: I was just
5 wondering. Also, there was four inch. I've asked
6 asked that before, and I think it was just -- maybe
7 it's a different kind of smoke round versus an actual
8 something that goes boom.

9 MR. PHIL POTTER: I know there are
10 a number of different materials that the four inch
11 could have. I'm not sure about the three inch,
12 whether there was a number of different three inch
13 without (inaudible).

14 MS. SUZANNE MURDOCK: I think most
15 of the four inch -- the three inch stokes are based --
16 are normally explosive filled. And I think most of
17 the -- in general, most of the four inch are smoke or
18 chemical filled items.

19 MR. PHILIP STROUD: That's, I
20 think, the answer I got. I just wanted to confirm
21 that.

22 MR. PHIL POTTER: On to the Bravo
23 area here. We've defined ten sampling sectors, five

1 of which are high density or expected high density
2 areas, in the cores of some of those fans, the
3 clusters of range fans that we showed on the previous
4 map.

5 Within the bravo area, there is a
6 hundred and forty-three acres of total sampling in
7 those ten sectors. Again, we're using a combination
8 of sampling methods here, the half acre or a quarter
9 acre grids and the two different types of transects.
10 Go into a little bit more detail about our transects
11 here.

12 Just to -- actually, let me point
13 over here to this map. Now, if you'll, please, turn
14 the light on just for a second.

15 This is a map of the Bravo area
16 here. You can see the grids over here, laid out
17 similar to the grids that were laid out in the Alfa
18 area. Most of those are -- I think the pink ones have
19 been surface cleared and the combination of pink and
20 green tells you the ones that have been surveyed in.
21 The north, south, and east, west cross-hatch lines
22 that you see over the high areas, over the pink areas,
23 are what we call delineation transects. And the

1 purpose of those is not to gather the hard geophysical
2 data that we're going to make our characterization on,
3 but rather to further define the boundaries of those
4 high areas.

5 The grids that you see within the
6 high areas, we'll characterize those, but we -- since
7 the high areas are important and may be what we
8 ultimately end up making our cost estimates on, as far
9 as potential cleanup out here, it's important that we
10 do understand how large those areas are. So, the
11 east, west, north, south blue lines here are what we
12 call delineation transects, which were designed
13 strictly to try to further confirm the location of
14 these high density areas.

15 And we have, on the Bravo area,
16 we've completed a hundred and twenty-three grids,
17 surveyed in a hundred and seventy-four total. A
18 hundred and four grids have been surface cleared of
19 ordnance and fourteen have been brush cleared. The
20 brush clearance has just gotten started there. That's
21 the grids.

22 The transects, we have done all of
23 our delineation transects that you see in the dark

1 blue over there. The data collection transects, we
2 will have a total of a hundred and seventy-six miles
3 of transects where we're actually accumulating our
4 sampling acreage, in one meter swaths as we walk
5 through the areas.

6 We have a certain number of acres
7 that must be collected within these sampling sectors
8 in order to do our risk model. And so we've
9 back-calculated how many miles it would take at one
10 meter wide in the transects. So, you have to walk a
11 hundred and seventy-six miles of transects to get the
12 sampling acreage that we need, combined with the
13 acreage that we're picking up in our grid sampling, as
14 well.

15 The data collection transects are
16 not shown specifically in that map over there. But
17 everywhere in sectors where you don't see a lot of
18 grids, that's where our delineation -- I mean, I'm
19 sorry -- our data collection transects will go, where
20 Steve is pointing out.

21 This is just an example of one of
22 the north, south delineation transects. There Steve
23 is showing it with his pointer there. This points out

1 the sort of thing that we're looking for.

2 We're trying to confirm whether we
3 have a high concentration of ordnance in that area as
4 we thought and whether we are dropping off to less
5 ordnance, both north and south of that. So, we walked
6 from north to south, collecting data with our
7 geophysical instruments.

8 All of these peaks that you see
9 here are just changes in amplitude as the geophysical
10 equipment picks up metallic objects or it can also
11 have some minor variation, just based on the rock type
12 and soil type that you cross. But all these big, tall
13 peaks you see here are metallic objects that we walked
14 over or very near on one of our delineation transects.

15 This doesn't show exactly what we
16 predicted. We would have predicted that we had a
17 lower area on both ends and a higher area in the
18 middle. That's the way we drew our sampling sector
19 when we -- after we did our reconnaissance. And this
20 points out the purpose for doing these, in that we can
21 now see that we have fairly low concentrations in the
22 southern part of that, where we thought maybe we were
23 starting to pick up the highs, and we have some

1 clusters of higher concentrations throughout the rest
2 of the area that we have identified as a high
3 concentration area.

4 So, this helps both tell us where
5 we're going from higher concentrations into lower
6 concentrations, and it also helps characterize the
7 nature of the higher concentration areas. It's
8 smaller clusters of high concentration within that
9 large sector.

10 Surface items found during the
11 surface clearance part of Bravo, again we've not done
12 any of the actually digging of our geophysical
13 anomalies yet, but during the surface clearance, found
14 quite a number of items, which doesn't surprise us,
15 since we knew that we were going to be working in and
16 around high concentration areas.

17 I'm not going to go through all
18 these, but some areas of note here, are the B-55 area.
19 Steve is pointing to the B-55 area over there. It's
20 just in the medium area, just outside one of our
21 predicted high areas. That would tell us that that
22 particular sector, probably the high sector probably
23 goes a little bit further north than what we had

1 predicted after our initial reconnaissance.

2 The B-110 area was within the high,
3 so that made a lot of sense. And B-98, I believe,
4 also was in a high. I'm not sure about that. But
5 these were not quite as heavy hits as we had. We had
6 three different occurrences of findings in the B-55
7 area there.

8 So, where do we go from here? We
9 still have to, of course, finish collecting our data.
10 We're almost finished in the Alfa EE/CA. We have just
11 a few more grids to do the geophysics on and a number
12 of grids to do our excavations on, but not too many.
13 In several weeks we should be getting pretty near the
14 end of that.

15 We'll analyze the data and prepare
16 an EE/CA report, which characterizes the area and it
17 starts to talk about options of cleanup or other
18 measures to be taken to reduce risk.

19 That document goes through a public
20 review. So, after that report is written, it will be
21 available for public review for a period of time. The
22 OE removal decisions that are based on all that data
23 are finalized. And an action memorandum is prepared,

1 which basically is the document that says, okay, we've
2 looked at all the data, we've gotten all the input
3 from stakeholders and whatnot, and this is the final
4 plan of what we're going to do to reduce risk with
5 these areas where we found ordnance items.

6 And then to implement the removal
7 action is what follows after that. So, that's my
8 presentation for this evening.

9 MR. DON CUNNINGHAM: Questions of
10 Mr. Potter?

11 MS. DONNA FATHKE: If you were to
12 go out there and find something totally unexpected,
13 for instance, an area that you thought would be low or
14 no ordnance, turned out to be high, would you have to
15 backtrack to the very beginning to look at your -- the
16 process of where you searched through historical
17 records, etcetera, to find out where range fans were
18 and say, how did we miss this?

19 MR. PHIL POTTER: That would be one
20 of the steps that we would take. But the sampling --
21 the reason you do the sampling is because there is
22 only so much that you can rely on the historical
23 records, so you really need to get out there and take

1 the sampling. That step would be gone through, but I
2 think the focus would be more on now that we have seen
3 that this is here, do we need to collect some more
4 data to further characterize this, what does it mean
5 for surrounding areas, and that kind of thing. So,
6 both, yes, we would try to match it back to historical
7 data, but also put it in the present context and
8 really see if we had enough information to
9 characterize why that was there and what sort of
10 concentrations we were really looking at in that area.

11 MS. DONNA FATHKE: Okay.

12 MR. GLYNN RYAN: Thanks, Phil. Let
13 me add one thing. And Phil showed you a map early on.
14 This is kind of -- as you look at it, the white area
15 down to here, the Alfa area he was pointing out, then
16 you can see how that lays close to the cantonment
17 area, next to Reilly Field, for those of you that are
18 familiar. The Bravo area circles from here back into
19 this area, so it kind of gives you a perspective as it
20 lays out on Fort McClellan. I'm not sure if it was
21 real obvious in the first map for someone who
22 remembers.

23 MR. DON CUNNINGHAM: Good,

1 excellent report, sir.

2 MR. PHIL POTTER: Thank you.

3 MR. DON CUNNINGHAM: Any further
4 questions for Mr. Potter? We thank you very much for
5 your time and we would invite you to come back and
6 visit with us and we'll look forward to an update to
7 this report.

8 MR. PHIL POTTER: Thank you.

9 MR. DON CUNNINGHAM: Good. Okay,
10 let's go in now to agency reports. ADEM.

11 MR. PHILIP STROUD: I'm going to
12 hand these out. Again, there are a lot on this
13 pending for a reason. We're starting to get into some
14 pretty hard core reports and they're taking quite a
15 bit to review these things. A lot of these are going
16 to fall off by our next meeting.

17 We're starting to get into the meat
18 of a lot of pretty intense reports. I've got three
19 more items here I want to share with y'all, very
20 interesting, too.

21 This last week, I went to Las Vegas
22 for a Power Point -- did a Power Point presentation to
23 the National Association of Ordnance and Explosive

1 Waste Contractors. There were thirty-one
2 representatives there, followed by the State of
3 California, State of Massachusetts, EPA, and the
4 State of Alabama. And I represented the State of
5 Alabama.

6 And just a couple of notes about
7 it. My Power Point presentation was on
8 Fort McClellan, specifically about successes and
9 concerns. And, of course, the concerns, exactly what
10 we've talked about tonight. It's really an eye opener
11 to everybody that was there.

12 It's -- it was exciting to see all
13 these contractors kind of licking their chops for the
14 future and how technology may advance to really work
15 in the higher slopes and things like this.

16 But one of the questions that -- or
17 one of the observations I had after the meeting, was
18 several people came up to me, after the presentation,
19 and were very inquisitive about Fort McClellan,
20 because Fort McClellan apparently is well known out
21 there, around the United States.

22 I'm also involved with this ITRC.
23 It's an interstate -- it's a big technology transfer

1 amongst all the states, kind of a program that's going
2 on. But I got hit left and right, why is Fort
3 McClellan doing so well. And it was real pleasing to
4 hear this, especially the State of California, the
5 State of Massachusettes asking this, plus EPA.

6 And I was asking them because --
7 where are y'all hearing this from. And it's through
8 the ITRC, this group that meets and is representing
9 all the states.

10 Well, I went on to really brag on
11 the RAB here. And it does come down to this meeting
12 right here and ultimately to the public. And I feel
13 like we've always been able to be very candid with
14 each other at this table.

15 They were so impressed with this,
16 and also how the BCT apparently conducts business.
17 Now, we have been just recently asked, can the ITRC
18 come visit Fort McClellan and see why things go so
19 well.

20 I'm not saying we're perfect, but
21 at least we're candid enough and open enough that the
22 partnering works here. They know it. I just like
23 hearing it.

1 But this is a good thing for us and
2 it's good to have the community here like this and to
3 ask the hard questions. But they were asking -- some
4 RABs have fallen apart across the United States just
5 because the people weren't concerned or they didn't
6 care, things like that.

7 I'd say that we -- after the
8 presentation, that we have some of those brilliant
9 minds here from every sector in life. And I think
10 that's what makes us so strong. Anyway, I just wanted
11 to let you all know that. This is exciting to me to
12 hear this.

13 And the next thing -- I won't go
14 into anymore. But the presentation went very well.
15 It was a good eye awakener. And it's amazing how many
16 people have their eyes on Fort McClellan kind of as
17 the breeding ground for this positiveness or whatever
18 they want to call it.

19 The second thing is: There are a
20 few times when you don't want to let things go unsaid.
21 And I did a hard field visit today to a drilling rig
22 out there on 21. And I took my many years of
23 experience and challenged the geologist out there.

1 And I just want to let y'all know that that's going to
2 be a good quality well they're putting in.

3 The things I looked for, one, is he
4 going to come up and be a professional to me and shake
5 my hand and things like that. And he did. And his
6 name is Dennis.

7 And he took the time to come over,
8 presented the site to me, presented the well. It's
9 OLF number 22. He told me the depth of 168.2 feet.
10 He was exactly right. And then he presented the
11 geology to me, not only in its physical form, but what
12 it was, the Rome formation.

13 Then I was able to look at his
14 field book. And I would say that was one of the best
15 presented field books I have ever seen. And
16 everything was kept in there, health and safety, who's
17 coming to the site, who's leaving the site. He tracks
18 all the logs that back it up, such as calibration,
19 instrumentation, any problems, successes, and failures
20 on the site.

21 And then I went and looked at the
22 rig. The rig was good. They were all wearing their
23 safety equipment and gear, all of them. And the rig

1 looked clean. It wasn't leaking oil or hydraulic
2 fluids. And then I looked at the area. It was well
3 -- I think it was -- the exclusion zone was well
4 marked to keep people from having wrecks on the road.
5 That's -- people still fly through there at sixty
6 miles an hour with those cones up.

7 And the health and safety fellow
8 came up and a couple of other guys came up. They
9 presented themselves, presented me their field books,
10 looked through them.

11 I just want to put a positive note
12 here. I don't like that to go unsaid. And sometimes
13 it's hard to walk away from a site and almost be
14 perfect. I'm not saying they're perfect, but this was
15 a good job.

16 I want to give two thumbs up to
17 those guys out there burning up in that hot sun, no
18 shade, you know, nothing -- wearing those moon suits
19 out there. And I feel like we're getting a good
20 quality well, done by a good professional. So, I'm
21 going to leave it at that.

22 And last order of business is we're
23 losing Shannon Golden. He's taking a job up in the

1 water division. He -- I think he'll feel more
2 comfortable there, that's all I want to say.

3 MR. DON CUNNINGHAM: Thank you,
4 Phil. Excellent report, and especially that from your
5 visit to out west and the comments associated with
6 that.

7 In that respect, I do pass those
8 wells twice a day and I am late getting to work some
9 mornings and late getting home for dinner some nights,
10 because I pull off the side of the road to watch it.
11 It's fascinating. The other day I saw them pull a
12 core up and extract the core out and look at how they
13 handled it and boxed it and the whole nine yards. It
14 was quite interesting. So, I encourage any of you who
15 haven't had an opportunity to go by and be a spectator
16 out there. You'll find it quite interesting. Yes,
17 ma'am?

18 MS. DONNA FATHKE: Phil, I had one
19 question. Can you give us some specifics on what
20 these group of people at the conference were
21 commenting about, about what is doing so well. Were
22 they talking about partnerships or the amount of work
23 that's being done or what were they commenting about?

1 MR. PHILIP STROUD: All of the
2 above. One that that was -- it's just they hear so
3 much about our Fort McClellan and, I guess, our
4 progressiveness. They know we all know here that
5 there is no range rule, but safety is a key factor.
6 And range rules rock on in limbo. What I'm calling a
7 reincarnation of the range rule.

8 But the -- we do things differently
9 than California here. We do statistical approaches.
10 They dig up every little item in the world.

11 But you got to keep in mind, they
12 didn't understand until I explained to them that what
13 they're doing here is getting an EE/CA prepared. In
14 other words, this is just the work before, you know --
15 then we come out with all the statistics and
16 everything like that.

17 But I think they've had an accident
18 out in California recently where I think some kids got
19 killed, recently. So, is theirs fail proof? No. So,
20 it's just when they brag on one thing, you know, it
21 could fail.

22 But they were very curious about
23 what we're doing here and why we're doing it. We're

1 not the only ones doing this, we're by far not the
2 only ones doing this. But, yeah, they -- also, we had
3 some other comments on the HTRW portion, hazardous
4 waste. I think they were just inquisitive of why --
5 about the on-board reviews meetings and those were
6 successes.

7 And I don't know, I guess word just
8 gets around. And I was kind of looking for some bad
9 comments, because, you know, it's competitive out
10 there. But what I'm getting at when I -- the gist I'm
11 getting at is that the technology is still growing,
12 it's an evolving field just like RCRA or CERCLA was
13 back in the early '80s. UXO is a new topic out there.
14 It's a hot issue. DoD is really targeting us. Corps
15 of Engineers, Huntsville. It's nice to see, you know,
16 the progression.

17 But it all comes down to this BCT
18 and the RAB working so well. And there is no hidden
19 agendas. We're not -- we don't have -- I don't have
20 anything that I'm trying to hide from you guys, that
21 we can be so open about it.

22 They don't understand that. They
23 feel like you, you know, maybe have to distrust

1 somebody, go beat up on somebody or do something like
2 that. I don't know what it is. But it was real
3 complimentary.

4 MR. DON CUNNINGHAM: Good, good
5 report, good. EPA?

6 MR. DOYLE BRITTAIN: I just have to
7 kind of ditto what he said there. You know, we've
8 done a lot of work, reviewed a lot of documents,
9 working together to make some plans, as far as to how
10 we get into some of the other big issues that we've
11 got coming down the road. So, I don't have much to
12 add about what he's already said.

13 MR. DON CUNNINGHAM: Anybody have
14 any questions of Doyle?

15 JPA is not represented here
16 tonight. Miki is out of town, I believe. But I would
17 encourage you all to read the Anniston Star daily,
18 because we're beginning to see a lot more activity on
19 the front pages of the Anniston Star relative to the
20 activities of JPA. And that's very encouraging for
21 the whole community.

22 All right, sir, let's go now to the
23 action summary sheets. And Glynn is going to cover

1 those for us.

2 MR. GLYNN RYAN: Right. And I
3 think everyone has that packet. So, let me not read
4 them to you and we'll go through those and I'll try to
5 answer any questions.

6 On the landfill three off-site
7 ground water monitoring, we have a couple of updates
8 in there, what we've done and where we've been. It's
9 kind of gone back. We can -- Lee Jay, do you have
10 kind of today's report? I guess you would --

11 MR. LEE JAY: I'm going to
12 introduce Josh Jenkins with IT.

13 MR. GLYNN RYAN: Okay. Please,
14 Josh.

15 MR. JOSH JENKINS: Just briefly,
16 we'll go over a few things. I've got a couple of maps
17 Lee brought. I presented -- last month we had sampled
18 some wells, which aren't represented on this map, the
19 City of Weaver wells, and there were two homeowner
20 wells that we had sampled, at that time. We have not
21 sampled anymore homeowner wells, at this time.

22 We are looking at getting access.
23 We have gained written access to a lady's property.

1 It's -- I believe it's right up in here. And I don't
2 have a reference on this map, but it's near where the
3 old drive-in theater was. And she's a tough person to
4 get a hold of. We do have written access, but now
5 we've got to negotiate on when we can actually,

6 physically get out there and do it. So, it's a
7 coordination thing that we're working on, but we are
8 going to sample that well.

9 Since the last time we talked, we
10 have installed these two wells up here on
11 Blarney Drive, within the City of Weaver right of way.
12 27 and 28, we've designated them. Those wells have
13 been developed and they are ready to sample. We're
14 going to grab samples this week from them.

15 After we completed these wells, we
16 moved here in the median. Some of these wells that
17 were discussed earlier, we started up here at 23, 22,
18 and 21. We are installing those wells in a phased
19 approach, where -- these are deep, bedrock wells we're
20 putting in, so we need to go in and set an outer
21 casing. And we're going to set a casing down to about
22 a hundred feet or around where hard rock here is.

23 And up here, these two wells, hard

1 rock was encountered about a hundred feet, down here
2 was about ninety-five feet. So, we've got the casings
3 in the ground.

4 Now, we're going back and we're
5 actually coring the rock, we're getting rock samples
6 to see if we can further define any type of structure,
7 any type of faults, any type of folding that may
8 influence ground water movement or potential
9 contaminant movement.

10 And once we do that, once we grab
11 our rock samples, our rock cores, then we will go in
12 and clean the well up or clean the bore hole up and
13 actually set the materials to install the well.

14 So, we've completed coring up here
15 and we're just moving down the median. We've
16 installed casing in all these. Now, we're moving back
17 down and we're actually in the process of setting the
18 wells.

19 We've also set casing over here on
20 the main post, this one well, OLFG-20. And this
21 morning we got started on these wells, which are
22 actually up here. This is the church property. And I
23 don't know the name of that church right offhand, but

1 it is the church property there that --

2 MR. GLYNN RYAN: Midtown Community.

3 MAYOR WILLIAM KIMBROUGH: It's
4 Korean, isn't it? Is it the Korean church?

5 MR. JOSH JENKINS: Yes, it is a
6 Korean church. I don't know the --

7 MR. GLYNN RYAN: I think it's
8 called Midtown Community Church, in the paperwork I
9 saw.

10 MR. JOSH JENKINS: Okay. We're
11 getting started there. We are setting casing there.
12 So, we've been doing that on the drilling end.

13 On the well water sampling end, not
14 only have we sampled these off-site wells, the City of
15 Weaver wells, the homeowner wells, we have also
16 sampled all the wells that you can see represented on
17 this map on post, and also, the three existing wells
18 in the median. Those wells were sampled, was
19 completed a couple of weeks ago. We anticipate the
20 results, the analytical results from those wells to
21 start coming in around the first or second week of
22 July.

23 MR. DON CUNNINGHAM: Good.

1 MR. JOSH JENKINS: That's pretty
2 much it.

3 MAYOR WILLIAM KIMBROUGH: I noticed
4 in the last meeting they asked, now that you're
5 setting those, how often that these would be tested.
6 Is this going to be a one-time thing or is there going
7 to be some responsibility in the future to continue to
8 test?

9 MR. GLYNN RYAN: Once we set the
10 wells, we'll go back to the BCT. They will look at
11 all the results from those. Some of them will
12 probably show nothing, some will show if there is any
13 contamination, wherever it -- as we go through this.
14 Then once it goes to the BCT, we'll make some
15 determination at this time how often a sampling plan,
16 if there will be a sampling plan, we would -- we
17 wouldn't have an idea.

18 MR. JOSH JENKINS: Right now we're
19 looking at that one event. And then after that --

20 MR. GLYNN RYAN: I mean, once
21 they're opened, before it's closed, we go back and
22 review those.

23 Back to the landfill three, there

1 was two parts to it, one is locating any off-site
2 contamination and the other part was the landfill
3 three contamination, itself, how we capped it to stop
4 that from going off. So, it's really a two-part
5 event.

6 MAYOR WILLIAM KIMBROUGH: One more
7 question and I'll be quiet. Since we're testing these
8 in a drought -- we've had a three-year drought -- is
9 there -- is there any possibilities, because of the
10 drought, that you might not pick something up that you
11 would if we ever get back to a normal time, as far as
12 the traveling of water?

13 MR. JOSH JENKINS: There is a
14 possibility. My feeling is that on some of the wells
15 that were installed at a shallower depth -- you know,
16 some of these wells are installed deeper than others.
17 The wells installed at a shallower depth, if any of
18 those have shown contamination or show contamination
19 and then are affected in the drought subsequent to
20 that, you may not see it during the drought-sampling
21 event.

22 What I do know is that this well,
23 OLFG-7 and OLFG-12, these are the two wells that have

1 shown contamination in the past. And both of those
2 wells have water in them and were sampled during this
3 last sampling event.

4 So, right now our conditions are
5 consistent with what we have encountered historically
6 in the past, so right now I don't think it's an issue.

7 MAYOR WILLIAM KIMBROUGH: My
8 question is -- of course, our city wells are way below
9 from last year. They haven't recovered. So, even
10 though it's rained every day, we haven't seen our
11 wells recovering that much. And that's where my
12 question comes from, is that if we ever get back to
13 where it is recovered, we will have water traveling
14 that might not be traveling now. Therefore, that's
15 why I asked how often they're going to be tested.
16 Thank you.

17 MR. GLYNN RYAN: If there is no
18 other questions on that one. The EE/CA investigation,
19 I think we've gone through that particular one for
20 ordnance and explosives fairly well with Mr. Potter's
21 briefing.

22 The chemical warfare munitions
23 EE/CA investigation, to date, there is no chemical

1 warfare munition items been discovered. Work is slow
2 due to high temperatures. We're going to go out to
3 the range twenty-four Alfa, which is another location
4 on post that's -- if there is any questions on that
5 one, I'd be happy to ask Susan Murdock -- no.

6 If there is no other questions on
7 those, on where we're at with that one, the next one,
8 the eastern bypass, we're working on that one to go
9 through, get the action memorandum completed, which is
10 a document for us to start any other work that needs
11 to be completed on the eastern bypass.

12 We've completed the Army's logging
13 operations on tracts two and three in early June.
14 That's what the Army was taking off.

15 There is some logging going on, but
16 it's for ALDOT. It's down on the southern piece.
17 It's called tract three. And ALDOT is in the process
18 of placing their fencing, their perimeter fencing on
19 that right-of-way that they have that -- that's up to
20 the southern border. You can see it over here.

21 If you look at the brown -- within
22 this yellow -- I think it's probably the first part of
23 that, into this somewhat. I'm not sure exactly where

1 the line is, but this is the part that ALDOT is
2 working today. These are the other portions that
3 we're logging on.

4 And the last item is the Fish &
5 Wildlife's prescribed burn. I think I saw
6 Bill Garland back here. Bill?

7 MR. BILL GARLAND: It's just the
8 weather more than anything has kind of put it on hold.
9 It's -- you kind of question whether we just put it
10 off until the winter and rethink how we're going to do
11 it. But we've got to take two more weeks to look at
12 it, I guess.

13 MR. GLYNN RYAN: One last thing --
14 and I would save this until afterwards, after the
15 meeting -- if you would like to take a look at this
16 map, this kind of gives you a representative look of
17 what property has been cleaned, no further action, or
18 was clean to start out with. And does not look at UXO
19 at this point in all of it, because we're just now
20 doing the EE/CA. So, please, take that in
21 consideration.

22 But the large green portion going
23 to Fish & Wildlife. And the different colors here, it

1 gives you a good representative of what property is
2 available out there and where we'll be transferring
3 property to the JPA, that they will then be able to
4 start their development.

5 So, we're moving right along with
6 that. And it's a good map to take a look at and get
7 an idea. Be happy to answer any of your questions or
8 attempt it. Thank you.

9 MR. DON CUNNINGHAM: Any questions
10 of Mr. Ryan? Okay, I think we've covered all of our
11 business to this point.

12 Now, let's open the floor for any
13 audience questions or comments. Anyone have any
14 questions or comments of the board? I guess we've
15 done a pretty good job.

16 We have asked Anniston City
17 Councilman, Mr. John Norton to -- invited him to come
18 to our meeting. And we had hoped that he would be
19 able to do that, but unfortunately he was --

20 MAYOR KIMBROUGH: He's back there.

21 MR. DON CUNNINGHAM: Oh, I'm sorry.
22 Oh, he is here. Mr. Norton, would you, please, stand
23 up. I didn't see you there. Fine.

1 MR. JOHN NORTON: Hello.

2 MR. DON CUNNINGHAM: We're happy to
3 have you with us, sir. I apologize, I did not see you
4 back there. So, we would invite you to come back and
5 be with us at each of the meetings. We certainly
6 appreciate your representation at our meetings.

7 I apologize to you for the heat.
8 Can't do anything about that, but we were all kind of
9 suffering together tonight, but I think everybody has
10 been good soldiers and we've accomplished some things
11 tonight and got some excellent, excellent reports and
12 reviews. And I think that's very important.

13 Joan, I think you have a couple of
14 things, don't you?

15 MS. JOAN McKINNEY: Two fast
16 things. Thank you, Don. We passed out, with your
17 packets, a roster to fill out for your information
18 that will go on our RAB membership listing. We also
19 need you to sign it for the Privacy Act purposes.
20 We're redoing the web listing and we don't put
21 anything on the web unless you authorize it. So, as
22 you know, we do have a web site and we are rebuilding
23 some of the information. So, if you would just kind

1 of fill that out for us and leave it on the table, we
2 would appreciate that.

3 And then the other topic is that as
4 we are moving forward right now and trying to get our
5 minutes out, we do find that they're a little more
6 detailed, they require a little more scrutiny, a lot
7 more folks need to look at them to make sure that
8 they're accurate before they get to you.

9 So, what that does is, of course,
10 obviously, we're finding it difficult to get them into
11 snail mail to get them out to you in proper time. We
12 would like the RAB's approval, agreement, that we
13 begin sending them out, electronically.

14 Now, we know that there is some
15 folks that don't have E-mail capability, and, of
16 course, we're going to make sure that they get to you
17 in the proper time frame. But we do find that each
18 month we're getting a little closer to the deadline of
19 trying to get them to the post office.

20 So, if you all agree that we could
21 just send them to you electronically, we would like to
22 be able to do that.

23 MS. DONNA FATHKE: I think it's an

1 you for your attendance tonight. We look forward to
2 seeing you next month.

3 Do I hear a motion for adjournment?

4 MS. DONNA FATHKE: So moved.

5 MR. DON CUNNINGHAM: And a second?

6 MR. JAMES BUFORD: Second.

7 MR. DON CUNNINGHAM: Motion

8 approved.

9 (WHEREUPON, the meeting was adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

C E R T I F I C A T E

STATE OF ALABAMA)
CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, a Court
Reporter and Notary Public in and for The State of
Alabama at Large, duly commissioned and qualified,
HEREBY CERTIFY that this proceeding was taken before
me, then was by me reduced to shorthand, afterwards
transcribed upon a computer, and that the foregoing is
a true and correct transcript of the proceeding to the
best of my ability.

I FURTHER CERTIFY this proceeding
was taken at the time and place and was concluded
without adjournment.

1 IN WITNESS WHEREOF, I have hereunto
2 set my hand and affixed my seal at Anniston, Alabama,
3 on this the 25th of June, 2001.

4

5

6

7

8

9

SAMANTHA E. NOBLE

10

Notary Public in and for

11

Alabama at Large

12

13

14 MY COMMISSION EXPIRES: 11-14-2001.

15

16

17

18

19

20

21

22

23

