

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at
Building 215, Fort McClellan, Alabama, on the 19th day
of August, 2002, commencing at approximately 6:30 p.m.

P.O. BOX 544
OHATCHEE, AL 36271
256-892-0591
FAX 256-892-3001

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-67
CERTIFICATE	68-69

1 MR. CRAIG BRANCHFIELD: If we could
2 have everybody's attention. We'll go ahead and get
3 started, please. We're starting. We'll start off by
4 calling the roll. I'm here. Mr. Ryan is here.
5 Mr. Beckett?
6 MR. SCOTT BECKETT: Here.
7 MR. CRAIG BRANCHFIELD: Mr. Buford?
8 MR. BUFORD: Here.
9 MR. CRAIG BRANCHFIELD:
10 Mr. Clendenin?
11 MR. MONTY CLENDENIN: Here.
12 MR. CRAIG BRANCHFIELD: Mr. Conroy?
13 Dr. Cox? Mr. Cunningham?
14 MR. DON CUNNINGHAM: Here.
15 MR. CRAIG BRANCHFIELD: Mr. Elser?
16 MR. JERRY ELSER: Here.
17 MR. CRAIG BRANCHFIELD: Ms. Fathke?
18 Mr. Franklin? Mr. Freeman?
19 MR. FREEMAN: Here.
20 MR. CRAIG BRANCHFIELD:
21 Dr. Harrington?
22 DR. MARY HARRINGTON: I'm here.
23 MR. CRAIG BRANCHFIELD: Mr. Hood?

1 Mayor Kimbrough?

2 MAYOR WILLIAM KIMBROUGH: Here.

3 MR. CRAIG BRANCHFIELD: And we have

4 Mr. Grant --

5 MR. RON GRANT: Here --

6 MR. CRAIG BRANCHFIELD: -- who's

7 here. And Mr. Levy is here.

8 MR. RON LEVY: Here.

9 MR. CRAIG BRANCHFIELD: Doyle,

10 Mr. Brittain is here.

11 MR. DOYLE BRITTAIN: Here.

12 MR. CRAIG BRANCHFIELD: And

13 Mr. Stroud?

14 MR. PHILIP STROUD: Here.

15 MR. CRAIG BRANCHFIELD: Okay. If we

16 could, why don't we start down here and we'll just

17 work our way that way and ask the members of the

18 audience to, please, introduce themselves.

19 MS. BRENDA CUNNINGHAM: Brenda

20 Cunningham with the Environmental Office,

21 Fort McClellan.

22 MR. JOSH JENKINS: I'm Josh Jenkins,

23 with Shaw Environmental.

1 MR. HUGH VICK: Gannett-Fleming, EPA
2 contractor.

3 BETTY VICK: And I'm Betty Vick.

4 MS. SARAH CLEMENCE: I'm
5 Sarah Clemence, environmental reporter for the
6 Anniston Star.

7 MR. JOE DOYLE: Joe Doyle,
8 transition force, legal.

9 MR. BILL GARLAND: Bill Garland,
10 U. S. Fish & Wildlife Service.

11 MR. LEE JAYE: Lee Jaye, Fort
12 McClellan, Environmental.

13 MS. LISA HOLSTEIN: Lisa Holstein,
14 Fort McClellan, Environmental.

15 MR. JIM MILLER: Jim Miller,
16 Anniston Water Works.

17 MR. BEN BENTKOWSKI: Ben Benthowski,
18 Gannett-Fleming.

19 MR. BILL HEGMAN (phonetic): Bill
20 Hegman, Shaw Environmental.

21 MR. ART HOLCOMB: Art Holcomb,
22 Foster Wheeler.

23 MR. DAN COPELAND: Dan Copeland,

1 Huntsville Corps of Engineers.

2 MR. BOB DAFFRON: Bob Daffron,

3 National Guard Training Center.

4 MR. PAUL JAMES: Paul James

5 Transition Force, Fort McClellan.

6 MR. LEE COKER: Lee Coker, Corps of

7 Engineers, Mobile.

8 MR. CHIP PARROTT: Chip Parrott,

9 Corps of Engineers, Mobile.

10 MS. KAREN PINSON: Karen Pinson,

11 Transition Force, Environmental.

12 MR. BILL SHANKS: Bill Shanks,

13 Transition Force, Environmental.

14 MS. LINDA WINSTON: Linda Winston,

15 Huntsville Corps of Engineers.

16 MR. CRAIG BRANCHFIELD: Okay. Good,

17 thank you. Has everyone had a chance to look at the

18 minutes from the last meeting? Or does anybody have

19 any questions or concerns with the minutes from July?

20 No. Okay. I practiced this before I came, so,

21 hopefully, I'll get it right this time. Do I hear a

22 motion to approve the minutes for the month of July?

23 MAYOR WILLIAM KIMBROUGH: So moved.

1 MR. JAMES BUFORD: Second.

2 MR. CRAIG BRANCHFIELD: All those in
3 favor? Opposed? Show the motion is carried.

4 Moving on to old business. Landfill
5 EE/CA, public comment period ends on August 19th,
6 which is today. I will go ahead and pass this around
7 right now, although I don't know if we'll hit on this
8 later. Mr. Grant did go through the comments that
9 were provided by the EPA and ADEM and just provided a
10 brief summary. I did E-mail it to everybody earlier
11 today, but if you didn't get a chance to check your
12 E-mail, I have a hard copy right here. So, if we
13 could pass them around that way if we could. And if
14 you have any questions on Mr. Grant's comments, we can
15 -- we'll just find a spot here a little later in the
16 agenda where we can allow anybody to ask questions on
17 his comments there.

18 And then one other item, we have had
19 a number of resignations from the RAB over the last
20 couple of months. Mr. Hopper has resigned.
21 Mr. Stratton was removed because he hadn't been
22 attending the meetings. Mr. Thomassy resigned.

23 We have received a number of new

1 applications. We have three old applications and two
2 new applications. And I think we may have a couple
3 more applications on the way, I think is what Glynn
4 was telling me just a couple of minutes ago.

5 I guess the plan right now, if
6 anybody has or knows of anyone that would like to
7 submit an application, we'd like to have those
8 applications by the 10th of September. We'll get, I
9 guess -- we'll have copies of those, I guess, sent
10 around to the RAB.

11 Oh, they're on the table. Okay. So,
12 we should pick one up on the way out. Pick up some
13 copies of those applications on the way out, if you
14 would, and try to take a look at them before the next
15 meeting.

16 At the next RAB meeting, we'll vote
17 -- let's see, are we looking at October now voting?
18 Is that when we're proposing? Okay. Then at the
19 meeting on the 21st of October, we'll plan on
20 nominating new members to the RAB.

21 That's everything on the agenda for
22 old business. Are there any other topics from the
23 last meeting that anyone would like to bring up before

1 we move on to the program for this evening? Nope?

2 Okay.

3 Well, let's move on ahead. Ron, do
4 you want to --

5 MR. RON LEVY: Yeah. The first
6 thing we want to talk about is the off-site
7 groundwater monitoring results in relation to landfill
8 three. We've been telling the RAB members that we'd
9 provide them with the results of that -- of the well
10 installations and the monitoring of those wells for
11 the past six months. It's been -- this has been
12 briefed already to the RAB.

13 Good news here, a couple of things I
14 want to mention, one is that we did -- some of the
15 property out there belonged to Ms. Brown. And
16 Josh Jenkins from Shaw Group was going to brief us.
17 But we'll show you what -- excuse me, Mr. Brown.
18 We'll show you where that property is and where we put
19 those wells in. We did inform, as of today,
20 Mr. Brown, his daughter, who happens to be -- hold
21 power of attorney, a letter that we did present to the
22 mayor, today, also, the results associated with the
23 sampling of those wells.

1 I do want to talk just briefly about
2 this. You know, after years of work and millions of
3 dollars in investigation, we're now receiving part of
4 the answers to our questions. We can say with a high
5 degree of certainty that the data shows that the
6 contamination from landfill three does not and will
7 not pose a threat to the City of Weaver's potable
8 water supply.

9 Our models of the underlying geology
10 indicate that the groundwater and in turn any
11 contaminants transported by water are not heading
12 towards the City of Weaver.

13 The models show the extent of the
14 contamination plume in the east, west and the south.
15 The plume appears to be heading in an northerly
16 direction, generally following Highway 21. Josh is
17 going to show you that in just a moment.

18 The focus of the investigation will
19 be now to look further to the north in order to define
20 the northern boundary of the plume and confirm the
21 direction and the rate of flow.

22 While we continue to monitor
23 selected wells, and in particularly those in and

1 around Weaver, it appears the geology in the faulting
2 to the west of landfill three inhibits any flow in
3 that direction and prohibits a threat to Weaver's
4 water supply. And I think that will come out clearly
5 as Josh presents his data.

6 And with that, I'm going to --
7 Josh Jenkins -- all of you know who Josh is. Josh is
8 the geologist who's been working this project for a
9 very long time.

10 I think, for those of us who are
11 sitting on this side, if you want to turn your chairs
12 around.

13 MR. JOSH JENKINS: Okay. Thanks,
14 Ron. I just want to give this evening's presentation.
15 I basically want to bring out four points. First of
16 all, I want to tell you what we know now, I want to
17 give you a brief chronology of the work that's going
18 into the data, and then I want to give you some
19 background, try to give you some background
20 understanding of geology, some of these block diagrams
21 we've made, these cross sections we've made, give you
22 an understanding of the geology and of the groundwater
23 flow, that will help support why we understand what we

1 do about where contaminants are in the vicinity of
2 landfill three. And lastly, just briefly touch upon
3 where we need to go, we believe, to go, moving
4 forward.

5 Okay. So, what we know. First of
6 all, the groundwater contaminant plume is defined to
7 the west and the south of landfill three in fractured
8 mudstone and silt stone. The map of landfill three is
9 right here. The groundwater contaminant plume is
10 defined over here to the west, east, and south. This
11 area up here north of landfill three is still an area
12 that requires some further investigation.

13 Now, there's a structural feature.
14 That structural feature I'll talk about in a few
15 minutes, but it's basically how the rock lays. That
16 appears to be creating a preferential groundwater flow
17 path and hence a groundwater contaminant flow path.
18 So, that's influencing the groundwater and contaminant
19 movement. Next.

20 The City of Weaver wells, which are
21 located approximately one point seven to over two
22 miles from landfill three have not been impacted from
23 contaminants from landfill three. Next.

1 What we've been able to determine is
2 there are at least three faults. And over here on
3 this block diagram -- which I'll explain in a little
4 bit more detail in a few minutes -- we have some
5 faulting over here. This is landfill three. We have
6 some faulting beneath Highway 21. We have some
7 faulting out here on the Brown property well -- or
8 Brown property.

9 And then we also have the Pell City
10 fault, which is a major fault that's been mapped in
11 many Alabama geologic publications. And that's
12 located out here to the west.

13 So, we have at least three faults
14 that are between landfill three and the City of Weaver
15 water supply wells. And the significance of those are
16 that they may -- that they appear to be impacting the
17 direction of groundwater movement and influencing the
18 groundwater flow and thus contaminant movement.

19 Okay. The bedrock contaminant plume
20 trends south, north along Highway 21 and appears to be
21 moving with groundwater flow direction. Again,
22 looking at a map of landfill three, the contaminant
23 plume, it's moving in a south to north direction is

1 what it appears to be.

2 And in the northern down gradient
3 extent of the contaminant plume has not been defined.
4 And the northern is up here on top.

5 Next slide. In the vertical extent
6 of the plume has not been defined, the north. So,
7 what we're saying is the depth, we've put in a well up
8 here, approximately, two hundred and fifty feet, and
9 we haven't defined the bottom of the plume. So,
10 that's what we know right now. Next.

11 Now, I want to give you just a brief
12 history of landfill three and a brief chronology of
13 the investigations that have transpired to date.
14 Landfill three was used a post sanitary landfill from
15 1946 to 1967. It was constructed as a series of
16 trenches filled with sanitary waste, and it's
17 approximately twenty-three acres in size. Next.

18 Here is landfill three. This is the
19 outline of the main post at Fort McClellan. You can
20 see it's up here in the northwest corner. These
21 trenches trended in a northwest southeast pattern and
22 were pretty much parallel within landfill number
23 three. Next.

1 Okay. I want to talk about briefly,
2 chronology of investigations. The Army began
3 investigating or looking into the groundwater
4 conditions around landfill three in 1986. At that
5 time there were five wells installed. These wells
6 were installed primarily in residuum bedrock.

7 And when I talk about residuum in
8 bedrock, what I'm saying is -- just your attention to
9 this cross section, which I'm going to talk about.
10 But the residuum is this yellow -- yellowish tan
11 material up here near the surface, and it's highly
12 weathered bedrock material, something that an auger
13 could drill through. Pretty easy to drill.

14 But what that means is the wells
15 were installed relatively shallow, anywhere from ten,
16 fifteen, thirty, to up to maybe seventy feet deep.

17 MR. CRAIG BRANCHFIELD: Is that the
18 deepest part of residuum?

19 MR. JOSH JENKINS: We've actually
20 seen residuum to extend as deep as over a hundred feet
21 along the highway. You can see out in here. We can
22 talk about that some more. Next slide.

23 All right. 1993, the Army continued

1 their investigation in the vicinity of landfill three.
2 Five additional wells were installed, OLFG six through
3 ten. They were installed during a site investigation,
4 and they were installed to fill data gaps that were
5 perceived from the previous work out there. And they
6 were put in in areas primarily along the western
7 perimeter of the landfill, because these were the
8 areas that were believed to be receiving groundwater
9 flow off of landfill three.

10 Now, when these wells were
11 installed, there were sampled along with the
12 previously five installed. And OLFG seven, which is
13 right here on the western perimeter, that well had
14 some chlorinated volatile organic compounds. And I'll
15 explain those in a few minutes. But that well had the
16 chlorinated VOCs in it.

17 And at that time, that was the --
18 that was then determined to be the contaminant
19 associated with landfill three. Next slide.

20 In 1994 and '95, additional wells
21 were installed, OLFG eleven through nineteen. Next
22 slide.

23 With the well installation and

1 sampling of these wells, not only did they verify with
2 the continued sampling that G seven did have
3 contaminants in it, but also this well, OLFG twelve,
4 here installed in the median of Highway 21,
5 chlorinated VOCs were also found in that particular
6 well. Next slide.

7 The City of Weaver potable water
8 supply wells and Medders' well, which is a domestic
9 well, an used domestic well, located up in this part
10 of the map, that I don't have on here, they were also
11 sampled at this time. And there were no VOCs detected
12 in this time period. Next slide.

13 Okay. That brings us to the current
14 time frame, 2001 to present. Beginning in 2001, the
15 Army has undertaken an aggressive approach to defining
16 the western extent of the groundwater contaminant
17 plume in the vicinity of landfill three.

18 There have been numerous monitoring
19 wells installed up here on Blarney Drive,
20 City of Weaver right-of-way, OLFG thirty-one and
21 thirty-two, thirty and twenty-nine and thirty-seven,
22 these wells are all on Mr. Brown's property. Then
23 there's also been additional wells installed here in

1 the median of Highway 21.

2 As the slide states, most of the
3 wells were installed in pairs or clusters to monitor
4 more than one vertical zone or to look at different
5 depths within the saturated or the groundwater
6 saturated bedrock. These wells range in depth from a
7 hundred and seventy-five to approximately three
8 hundred feet deep.

9 They're time consuming and expensive
10 to install. And obtaining access to private property
11 here on the Brown property has taken a bit of time to
12 accomplish. But both -- the Army has been able to
13 actually achieve that.

14 Also, during this time frame, 2001
15 to present, the City of Weaver wells have continued to
16 be sampled. We've actually sampled them three times
17 since May of 2001. And we've also sampled the
18 Medders' well again and also another unused domestic
19 well, which we call the Lowery well. Next slide.

20 And this shows landfill three. This
21 is the Medders' well, which I discussed, and this is
22 the Lowery well, which is coming through a little
23 light on this slide. This shows landfill three in

1 relation to the locations of the Weaver supply wells
2 two and three. Next slide.

3 Now, I want to talk to you about the
4 geology and the bedrock structure. And the reason why
5 I want to bring this up is because this information,
6 combined with the groundwater flow directions we've
7 been able to find, influences where the contamination
8 is and also where we believe we need to focus future
9 investigations, to fully define the extent of the
10 contaminant plume.

11 And first of all, I want to give you
12 just a brief summary of what the bedrock is in the
13 vicinity of landfill three. Bedrock consists of the
14 Rome formation.

15 I brought a couple of cores here.
16 It might be difficult to see in this lighting. But
17 the Rome formation is primarily a mudstone and a silt
18 stone. It's a very hard material. It has some small
19 interbedded layers of carbonate, very small contorted.
20 You can see the lines are squiggly in this stuff.

21 This is typically a red, brown, or
22 brick colored. If y'all drive up Highway 21 and see
23 Waldrop's Awning or Coverings, where the old drive-in

1 is, you look back in the back, there is a lot of red
2 rock back there, that is the Rome formation.

3 Bedrock to the east of landfill
4 three -- and what I want to say, east and west, I'll
5 point out on this map. There's an imaginary line
6 running northeast southwest. Bedrock to the east of
7 this area consists of this material, which is called
8 the Conasauga formation. This rock is more of what's
9 called a carbonate.

10 The difference between the Conasauga
11 and the Rome formations is primarily how they weather
12 and what happens to them when they undergo a natural
13 degradation. Groundwater will move through the
14 Conasauga formation. It will tend to move in what's
15 called conduits. It will form like little pipes
16 within the rock, itself. Whereas, water moving
17 through the Rome formation will tend to stay within
18 the fractures within the bedrock.

19 Now, what we're able to do with the
20 geology information that we've collected, we've put
21 together a cross section. And this actually
22 represents one cross section. If you look up here on
23 this map, this is landfill three. This line, AA

1 prime, it represents a cross through the ground of
2 what we're looking at from A northwest to A prime
3 southeast. So, this is one continuous view of what's
4 going on from here, up on Blarney Drive, within the
5 City of Weaver, down here to the southeast side of
6 landfill three.

7 And the major points on this cross
8 section is -- not only does it look pretty neat from a
9 geology standpoint, but it indicates that we've got
10 some faulting going on right in here, just along
11 Highway 21. And there's also some inferred faulting
12 out here on the Brown property. This is the well up
13 on Blarney Drive, G twenty-seven, up here.

14 The other major thing is: You can
15 see the colors change. The colors over here represent
16 mostly mudstones and silt stones. As you move to the
17 northwest, you get more of a -- more carbonates are
18 interbedded or mixed within those silt stones, and --
19 but we still know we're in the Rome formation because
20 we have some of this red material, this red silt stone
21 down here at the bottom of this boring.

22 Now, one of the things you may want
23 to -- you may inquire about is faulting. I just want

1 to touch on that, what the faulting represents. The
2 faulting -- for you all that aren't familiar with
3 it -- faulting is simply a process where you've got
4 one set of rocks from here, moving over another set of
5 rocks, which is right here. And what the faulting
6 does, is it tends to move, at least around in the
7 Weaver area, it tends to move rock of one type, such
8 as this white, next to rocks of another type, such as
9 what I'm showing in green.

10 And it will tend to disrupt the
11 weathering process, and it will also tend to make
12 groundwater flow in more of a -- more of a preferred
13 pathway, which is instead of moving along lines within
14 the bedrock, itself, to within fractures that are
15 along this flat face of this fault. So, that's kind
16 of -- briefly explains, you know, why the faulting is
17 important in this area.

18 Another cross section I want to
19 bring up is BB prime up there on the map. That's this
20 cross section right here. This rock is all within the
21 Rome formation. This cross section also shows a fault
22 here and here. This is actually the same fault, but
23 the perspective you're looking at it on this cross

1 section, the fault actually bends into the board. So,
2 you're not looking at it all in one complete section.

3 Again, this is southwest. This is
4 northeast. That's southwest, northeast. So, this is
5 the line you're looking at. And this is right along
6 -- this would be as if you were looking through -- you
7 were driving north along Highway 21.

8 Now, the folding and faulting, I
9 have briefly discussed. We've got inferred faulting.
10 The reason -- we actually didn't actually see a fault
11 here. And we suspect a fault here being inferred.
12 The reason why is because we have this type of rock
13 that we've seen in these cores. It's called
14 brecciation. If you can click on that, Bill.

15 The brecciation shows a lot of --
16 this looks like gravel, almost. But what this is is
17 you've got the red material up in here. It's all
18 broken up. It's combined with this light material
19 here which is more of a carbonate. The brecciation
20 just really describes rock that's been chewed up and
21 rock that has moved a lot.

22 And again, that is important because
23 of what it may do with the groundwater movement in the

1 vicinity of all this brecciation.

2 Now, I want to talk to you about
3 this block diagram over here. What we did was, we
4 took cross section AA prime, and what we want to do is
5 put it over here on a block diagram and kind of show
6 you on the ground surface where landfill three is and
7 where Weaver supply well number two is. And what this
8 cross section shows and what this block diagram shows,
9 it shows cross section AA prime, extending from here
10 to here.

11 It also shows this brown, brick
12 colored material. This is also mapped as the Rome
13 formation. And we know that based upon Alabama
14 geologic survey publications, dating back at least
15 fifty years, describing this as Rome formation.

16 This feature right here, this line,
17 this represents what's called the Pell City fault.
18 And some of you have heard about the Jacksonville
19 fault. The Pell City fault is also an important fault
20 in the vicinity of Anniston and Weaver. And what the
21 Pell City fault does, is it separates this rock over
22 here, this Rome formation from this material over here
23 to the west, which is the Conasauga formation.

1 Again, that's important. Landfill
2 three is over here. It sits primarily in the Rome
3 formation. We've got a little Conasauga over here to
4 the right, to the east. This stuff is primarily
5 fractured, broken up. Groundwater moves through
6 fractures.

7 Whereas you get over here, and in
8 the City of Weaver's wells, their wells are in more of
9 a conduit-type material where groundwater flows
10 through these pipes within the rock, itself.

11 Now, we don't know the structure
12 over here. We don't know if there is all this folding
13 and faulting. We suspect that there is. But because
14 we don't have a lot of information, we just colored it
15 one solid color, blue out there.

16 Okay. Now, we know a little bit
17 about the geology. What do we know about the
18 groundwater flow direction? Well, what we did was we
19 looked at wells that were put in in the residuum and
20 then we looked at wells that were put in the bedrock,
21 because we were thinking that wells installed in this
22 yellow, yellowish tan material, versus wells installed
23 in this bedrock, the groundwater may behave

1 differently.

2 There may be some type of barrier
3 that would preclude or prevent water from moving
4 either down from the residuum into bedrock and thus
5 maybe prevent contaminant movement into bedrock.

6 So, what we wanted to do was look at
7 it two separate zones as I speak. So, residuum. So,
8 what we looked at in the residuum wells, we basically
9 took water levels, water levels indicated that
10 groundwater flow direction is from southeast to
11 northwest. These arrows here, here, indicate the
12 general direction of groundwater movement through the
13 residuum in the vicinity of landfill three. Next.

14 Okay, the average velocity, we took
15 some -- we ran a few tests and used the spacing on the
16 wells and came up with a calculation that the
17 groundwater velocity is approximately, on average,
18 thirty-six feet per year. So, this is moving slow.

19 Now, we also wanted to look at the
20 bedrock. We have fewer bedrock wells. Most of them
21 are the to west of landfill three. But with those
22 particular wells -- go ahead and click on that --
23 bedrock flow is showing the -- in the direction of

1 Highway 21, generally to the northeast. These arrows
2 are kind of showing we've got flow a little bit from
3 the west and also a little bit from the southeast.

4 This is somewhat different from what
5 we saw in the residuum where we just had groundwater
6 flow here at landfill three going to the northwest.
7 The average groundwater flow velocity, based on
8 calculations we've made, is approximately three feet
9 per year. So, this is very slow, much slower than
10 what we had seen in the residuum.

11 Also, as I previously mentioned, the
12 groundwater flow appears to be mostly through
13 fractures within this Rome formation, this red stuff.
14 Next.

15 Lastly, one of the ideas going into
16 it, that there could be some type of separation
17 between groundwater within the residuum and bedrock.
18 What we have found, based upon groundwater levels, is
19 that the water appears to be hydraulically connected.
20 So, what that -- that term basically means is that
21 there is -- there is an avenue to allow groundwater
22 flow and thus potential contaminant flow to move from
23 the residuum into bedrock. Next.

1 Okay. We know the geology. We know
2 the groundwater flow direction. Now, where is the
3 contaminants? Where are the VOCs in the groundwater?
4 Next slide.

5 First of all, the City of Weaver
6 wells, as I mentioned before, have been sampled.
7 They've been sampled three times, even a fourth time
8 when you consider the sampling taking place in '94 and
9 '95. Each time, there have been no detectable
10 concentrations of VOCs.

11 Chlorinated VOC distribution appears
12 to trend along the orientation of the faults. The
13 groundwater analytical results indicate that the VOCs
14 in the groundwater extend along Highway 21 to the
15 northeast at increasing depths. And the extent of the
16 VOCs to the west appears to be defined.

17 What I would like to just point out
18 are a few maps here, showing the VOC distribution, not
19 only on a map view, but also in a cross-sectional
20 view.

21 As I -- as with the bedrock, we
22 looked at cross sections in -- with groundwater. We
23 also look at the cross sections. This is cross

1 section -- this is cross section BB prime, same say
2 cross section which I showed you over here. It
3 extends along Jacksonville Highway here from southwest
4 to northeast.

5 What this shows is we've defined the
6 extent of contaminants, VOCs to the southeast. We are
7 at or near the bottom of the plume, along here, which
8 is approximately two hundred and fifty feet, right in
9 the vicinity of landfill three.

10 But as you go to the north, the
11 plume appears to be sinking. And out here on the
12 northern extent, which is up here, along Highway 21,
13 we have not fully defined the extent of the plume.

14 Now, looking at a cross section, a
15 northwest, southeast cross section, which is right
16 here, CC prime on this map, goes across the northern
17 part of landfill three. What this shows again, these
18 wells out here are wells that were installed in
19 Blarney Drive, City of Weaver right-of-way, Brown
20 property wells. And then Highway 21 is right in here.

21 And this is the faulting that I had
22 previously discussed, that I showed here on the block
23 diagram and in the cross sections. That's the

1 faulting going on right here.

2 What this shows, is landfill three
3 being -- extending along in this area, is that the
4 contaminant plume appears to end here to the west,
5 along the structural feature, this faulting, which we
6 have looked at. And also, we appear to have
7 contaminant maps to the east, as well. The bottom of
8 the plume is a little bit undefined right in that
9 area.

10 Now you're asking, what are these
11 VOCs? What are these chlorinated VOCs? Well, this is
12 a tag map showing the actual volatile organic
13 constituents in the groundwater. These are the wells
14 along here, which have had hits, which have had
15 contaminants detected in them. These are primarily
16 Trichloroethene and 1,1,2, Tetrachlorethane. There
17 are a few other chlorinated compounds, such as vinyl
18 chloride.

19 What this map represents is the list
20 of volatile organic compounds that have been detected
21 above Fort McClellan's site-specific screening levels.
22 And those are just risk-based screening levels that
23 have been developed over the past four or five years

1 for Fort McClellan to proceed with their environmental
2 investigations.

3 But of these compounds exceeding the
4 site-specific screening levels, what we've done is
5 we've highlighted those particular compounds that
6 exceed the EPA's maximum contaminant levels for
7 drinking water. And you can see here the number of
8 compounds is less than -- exceeding MCLs than the
9 actual compounds exceeding the site-specific screening
10 levels.

11 Just one other view of the VOCs. I
12 want to talk about the cross-sectional view, but I
13 also wanted to mention in map view, what these look
14 like. Residium, we've got an apparent
15 boomerang-shaped configuration in the vicinity of
16 landfill three.

17 MR. PHILIP STROUD: Can y'all see
18 that?

19 MR. JOSH JENKINS: It's kind of
20 difficult to see. Can folks back in the back see
21 this? It's difficult.

22 But the outline of the plume is
23 about right in here, where this pointer is showing.

1 And then in bedrock, the deep bedrock, deep wells,
2 wells a hundred and seventy-five to two hundred and
3 fifty feet deep, the plume configuration is a little
4 bit larger, extending out here on-post, down here to
5 the south.

6 And here to the west we haven't
7 defined. One thing that really jumps out is these
8 wells here on the Brown property.

9 We've had no VOCs detected in any of
10 these wells that are associated with landfill three.
11 This well up here, we had one well with the
12 constituent methylene chloride. It's a common
13 drinking water compound. If you sample your drinking
14 water, you'll oftentime see methylene chloride.

15 So again, what this shows: We've
16 defined the extent of the plume here to the west, to
17 the south, and to the east. There is some unknown
18 area up here to the north where we need to go further
19 to the north, northeast and perhaps northwest. Click
20 on that, Bill.

21 One other thing I wanted to point
22 out, the Medders' well, as I previously said, and the
23 Lowery well, were sampled in 2001. No VOCs were

1 detected in those wells. Those wells are not shown on
2 this map, but up in here and over in here, where they
3 would be on this map.

4 One other important thing I wanted
5 to bring up is that there is evidence that degradation
6 is occurring. What I mean by that is: That a lot of
7 these compounds that we believe are associated with
8 landfill three, they appear to be breaking down
9 naturally. And they are moving from something more
10 complex to something simpler. So, that is a good
11 thing.

12 If the degradation process would go
13 to completion, the stuff would eventually, the
14 organics would eventually degrade into something that
15 would be relatively harmless.

16 This is a map or a slide, just
17 wanted to put everything into perspective here. This
18 is landfill three, right here. These are the Weaver
19 water supply wells. And this -- these lines right
20 here are red, and what they are is the outline of the
21 plume in the deep bedrock wells along landfill three
22 here to the west.

23 What this shows is the relative

1 position of this plume, as we know it, in relation to
2 landfill three and the City of Weaver water supply
3 wells. Again, we've defined the extent here to the
4 south, to the west, and to the east. But there is --
5 are some areas up here to the northwest, north and
6 northeast, which are going to require further
7 delineation. Next slide.

8 So, in summary: The groundwater
9 contaminant plume is defined to the west and to the
10 south of landfill three in fractured mudstone and silt
11 stone. The structural feature, the faulting, which we
12 see right here on the block diagram, over here in the
13 cross section, this appears to influence groundwater
14 and contaminant movement, causing groundwater to move
15 in a preferential flow pattern.

16 The groundwater in the deep bedrock
17 appears to flow through fractures beneath Highway 21.
18 And that's in this area right here. Next slide.

19 We have inferred at least three
20 faults between landfill three and the City of Weaver
21 water supply well. We know one -- one fault, the
22 Pell City fault, it's well documented in Alabama
23 geologic survey literature. These other faults are

1 inferred. They're based are on some brecciation we
2 saw in cores and based on the change in lithology or
3 the change in rock type we're seeing from here moving
4 to the west.

5 The bedrock contaminant plume trends
6 south, north along Highway 21. Over here on this map,
7 you've got here -- you have the south end of landfill
8 three up along Highway 21. And it appears to be
9 moving with the groundwater flow direction, as I
10 previously mentioned. The groundwater flow direction
11 in the deep bedrock is moving to the northeast, north,
12 northeast.

13 So, what's next? Well, at this time
14 we are currently compiling additional information.
15 We are formulating a plan to install additional wells
16 to the northwest, north and northeast. What we intend
17 to do is present these to the BCT next month, in
18 September.

19 In addition, we've come up with a
20 list of approximately nineteen monitoring wells in the
21 vicinity of landfill three, not only these wells
22 around landfill three, but also the two Weaver supply
23 wells. The intent of these wells, the sampling of

1 these wells, is to maintain our understanding of the
2 orientation or configuration of the plume and also
3 here -- sample these wells on the west and the two
4 Weaver water supply wells to the west to just monitor
5 and maintain our understanding of the extent of
6 contamination to the west of landfill three.

7 And that's pretty much it. Any
8 questions?

9 MAYOR ED KIMBROUGH: Does this have
10 any relationship to the recommendation of capping?

11 MR. JOSH JENKINS: No, this is
12 really a separate --

13 MAYOR ED KIMBROUGH: It doesn't --
14 it doesn't support or not support, as far as the
15 recommendation of capping?

16 MR. JOSH JENKINS: No. Ron, you may
17 want to address this. But the Army's really looking
18 at the groundwater and the mediation as -- source
19 mediation as two separate issues.

20 MAYOR ED KIMBROUGH: Okay. That's
21 all.

22 MR. RON LEVY: That's correct.

23 MR. CRAIG BRANCHFIELD: I have a

1 couple of questions.

2 MR. JOSH JENKINS: Sure.

3 MR. CRAIG BRANCHFIELD: I'm sure you
4 guys told us this at some time in the past. But how
5 much data is this based on? Was the groundwater data
6 collected over a period of a year or something like
7 that, since the monitoring wells were installed? Or
8 was this just one sampling event or how much
9 groundwater data was collected?

10 MR. JOSH JENKINS: The information
11 that went into this plume, to define this plume and in
12 the plume that we're showing right here in the
13 residuum in the bedrock, we collected this data from
14 the wells represented here and here. Basically, there
15 are thirty -- I think close to thirty-nine wells,
16 including the two City of Weaver wells. We did those
17 as quick as possible. We did that in approximately a
18 three week time period, April and May of this year.

19 So, each time we've put in wells,
20 we've not only sampled the new wells, but we've gone
21 back and sampled the old wells.

22 MR. CRAIG BRANCHFIELD: How many
23 sampling events have there been? I guess where I'm

1 getting at is: Did you take into account seasonality
2 and all that stuff, or is this something you keep
3 looking at as you move into the future?

4 MR. JOSH JENKINS: Well, the
5 seasonality is -- differences are going to be captured
6 with the quarterly sampling. We sampled, I think,
7 back in May -- May or April we talked about the
8 sampling that was done in January.

9 Prior to that, we sampled some wells
10 last summer. But as we sampled wells, the Army's
11 continually adding more to the data base. So, not
12 only are you getting seasonality, you're getting a
13 greater extent, both vertically and horizontally, of
14 what you're sampling.

15 MR. CRAIG BRANCHFIELD: You
16 mentioned that some of the samples you had MCL
17 exceedances. Now, some people may not know what it
18 means, as far as moving forward, if you have an MCL
19 exceedance. Can you give us a little detail on what
20 that means, as far as moving forward in the process
21 when we have these exceedances at certain wells? I
22 mean, does it mean you move into a -- eventually, at
23 some point, move into a risk assessment phase or what

1 does that --

2 MR. RON LEVY: Well, this is an RI.
3 So, we're in an RI phase and there will -- and there's
4 a risk assessment associated with that. Plus, we'll
5 move in after the RI phase into an FS.

6 So, at some point, we will have to
7 define a remedy. But until we, you know, finish the
8 process and define the northern extent of the plume,
9 you know, we're probably -- we're really not prepared
10 to define exactly what the remedy is, at this point.

11 MR. CRAIG BRANCHFIELD: Did -- you
12 mentioned you had some information on flow velocities.
13 Do the size of the plumes match up well, given how
14 long the landfill was in use with the velocities? In
15 other words, if the groundwater is moving three feet a
16 year in bedrock or -- I can't remember what you said
17 -- twenty-five feet a year or something like that, in
18 the residuum, do the size of the plumes kind of.

19 MR. JOSH JENKINS: They match --

20 MR. CRAIG BRANCHFIELD: -- match up
21 fairly well with that?

22 MR. JOSH JENKINS: They --

23 MR. CRAIG BRANCHFIELD: I know it's

1 not an exact science --

2 MR. JOSH JENKINS: It's not an exact
3 science. The plume -- the extent of VOCs here in
4 bedrock appears to be a little bit larger than what
5 you would look at at three feet per year. It probably
6 falls more in line with the velocities we're seeing in
7 the residuum. Again, the -- they were averages. We
8 have --

9 MR. CRAIG BRANCHFIELD: Sure.

10 MR. JOSH JENKINS: We have hydraulic
11 conductivity, or testing that we've preformed, has
12 just given us really, I think, an order of magnitude
13 type understanding.

14 There is other things going on like
15 dissolution and other physical changes in these
16 contaminants which may be moving them at -- which may
17 make them appear at a farther distance than where just
18 strictly at groundwater velocity speed would tell you
19 where they should be.

20 MR. CRAIG BRANCHFIELD: And given
21 the groundwater velocities you have and some of the
22 other data you have, are you able to predict how far
23 north you anticipate that they have moved in the

1 bedrock or is it really just --

2 MR. JOSH JENKINS: No, not at this
3 time. We're continuing to evaluate where we need to
4 go up here to the north. And, at this point, no.

5 MR. CRAIG BRANCHFIELD: And my last
6 question is: I seem to remember about a year --

7 MR. JOE DOYLE: Can everybody speak
8 up just a little bit for the people down here?

9 MR. CRAIG BRANCHFIELD: I'm sorry.
10 I'm talking this way, and you guys are all that way.
11 Can -- I seem to recall about a year ago there was a
12 theory that perhaps the groundwater was going out and
13 then looping back around and going back under the
14 landfill. I assume that theory isn't panning out?

15 MR. JOSH JENKINS: That theory --
16 that was just a theory at the time --

17 MR. CRAIG BRANCHFIELD: Yeah.

18 MR. JOSH JENKINS: -- based on what
19 we knew. I think we've got a lot more data now. And
20 we've got wells that were put in much deeper than what
21 we -- than what we did in the past.

22 And the theory is partially -- you
23 know, the theory is that the groundwater structure or

1 the bedrock structure is influencing it, but it's not
2 influencing it in the way that we had thought of
3 previously. It's just really more -- acting more as a
4 barrier and moving it to the northeast, southwest
5 instead of moving it beneath, back down below the form
6 and fault. Yes, sir?

7 MR. MONTY CLENDENIN: I have some
8 questions about your model. Could you take that --

9 MR. JOSH JENKINS: Sure --

10 MR. MONTY CLENDENIN: On the far
11 left, you're saying that -- at the top left of your
12 model, the yellow, and that's the Blarney well?

13 MR. JOSH JENKINS: Yes, sir.

14 MR. MONTY CLENDENIN: And across the
15 top of that section that's about two, three -- two
16 miles, maybe?

17 MR. JOSH JENKINS: No. This is --
18 from here, from A to A prime, we're looking at about
19 seventeen hundred feet, which is a little bit less
20 than a half mile.

21 MR. MONTY CLENDENIN: Could you take
22 your far left -- or the landfill, could you put that
23 to scale on the surface over here? Where is it --

1 MR. JOSH JENKINS: Landfill three is
2 right along here. It shows up -- we have it plotted
3 on this map, but it's difficult for you to see because
4 where it's shown. Landfill three is approximately
5 from right here to here on that cross section.

6 MR. MONTY CLENDENIN: How deep is
7 that yellow section, the orange section?

8 MR. JOSH JENKINS: In the yellow
9 section, this residuum extends, approximately -- it
10 varies, as you can see. We've seen it as shallow as
11 thirty feet and we've seen it as deep as over a
12 hundred feet. It's not consistent. It really depends
13 upon what rock -- what rock you encounter right here
14 along this section, because the rock tends to weather
15 differently.

16 MR. MONTY CLENDENIN: Okay. My
17 question really is: How far into that -- how far deep
18 into that -- and I can only think of it in terms of
19 archeological stuff -- but an lens, if you've just got
20 a little scoop, how deep does the bottom of the
21 landfill go?

22 MR. JOSH JENKINS: How deep the
23 landfill? The landfill, we believe, based upon some

1 trenching and boring activities within the fill
2 material, the bottom of the fill we have looked at is
3 approximately sixteen to seventeen feet below ground
4 surface. So, each of these little tick marks here is
5 twenty feet. It would be less than one of these
6 distances between these tick marks. So, the landfill
7 on this scale would -- might be approximately right
8 along the line here. And I'm -- my hand is shaking so
9 I'm not shining -- but it's about -- we looked about
10 sixteen, seventeen feet.

11 MR. MONTY CLENDENIN: But it's
12 pretty shallow, compared to the --

13 MR. JOSH JENKINS: Absolutely, very
14 shallow, compared to the scale we're showing right
15 here.

16 MR. MONTY CLENDENIN: If it was just
17 scraped off and bundled up and put in a can and hauled
18 off, how many more wells would we have to put out
19 there to see if it's still leaking if it was gone?

20 MR. JOSH JENKINS: Well, the work
21 we're doing now is defining the horizontal and
22 vertical extent of the plume, these plumes that I'm
23 showing right here which you can't see, unfortunately.

1 That's where we're focusing on. We're focusing -- the
2 initial impetus was to determine if there was any
3 impact to the City of Weaver's water supply wells.
4 Now, we're looking to the north to get the vertical
5 and horizontal extent.

6 MR. MONTY CLENDENIN: It's moving
7 toward where I live now, up toward Jacksonville.

8 MR. GLYNN RYAN: I think that --

9 MR. MONTY CLENDENIN: My question
10 is: No matter how far out you go north to decide what
11 the edges of it are, okay, if it's gone and it rains
12 and the water runs through there, wouldn't it be a
13 whole lot less at the end of it when it gets there if
14 there was nothing for it to flow through?

15 My question is -- I don't -- I'm
16 confused, because if you've done been doing wells
17 going all the way back to '83, what is drilling
18 another well going to do to the information you've
19 got?

20 MR. GLYNN RYAN: Well, let me -- I
21 think what Josh is trying to show is this is where the
22 contamination already is in the process, and if you
23 remove the landfill tomorrow, it would still be there,

1 contamination in the --

2 MR. MONTY CLENDENIN: It would still
3 move through --

4 MR. GLYNN RYAN: -- in the
5 groundwater and still be moving. What we're trying to
6 see is where it's at so we can stop and clean up that
7 piece of it, which is why it's two separate actions.

8 MAYOR ED KIMBROUGH: And it's my
9 understanding there is technology that can -- you can
10 remove that -- where the plume is gone, there is
11 technology where you can remove that, too; is that
12 correct?

13 MR. RON LEVY: This is remedial --
14 there are remedial methods that we can undertake.

15 MR. MONTY CLENDENIN: I would just
16 think if I was brewing coffee and I poured some water
17 through my grounds, and I wanted to get rid of the
18 color of the coffee, I would just take the grounds
19 out, and then the water would begin to clear up, even
20 all the way up there to Bonny Brook. I don't know,
21 just a thought.

22 MR. GLYNN RYAN: Yes. We don't
23 disagree with that, either.

1 MR. MONTY CLENDENIN: Okay.

2 MR. JOSH JENKINS: Yes.

3 MS. SARAH CLEMENCE: What's the
4 volume? What's the size of the plume, as far as you
5 know it, now?

6 MR. JOSH JENKINS: We haven't done
7 any formal calculations or even informal calculations
8 to determine what the volume is. We're looking at
9 concentrations which are -- total concentrations which
10 are less than a part per million.

11 These are -- although some of these
12 concentrations exceed our site-specific screening
13 levels and EPA MCLs, concentrations are on the lower
14 end of what, you know, what you're actually seeing.

15 But as far as actually calculating a
16 volume of VOCs right here within this plume, we
17 haven't done it, yet. We still haven't defined what's
18 up here to the north.

19 And until we do get the plume
20 totally defined -- and that's something, as far as the
21 volume is something we probably wouldn't be looking
22 at.

23 MR. CRAIG BRANCHFIELD: Any other

1 questions?

2 MR. RON LEVY: Okay. Again, I just
3 want to point out, we believe this is a good news
4 story, although we've still got additional work to be
5 done here. The BCT has some additional decisions that
6 will have to be made, in terms of what we're going to
7 do further north. Shaw has to come back to us and
8 tell us what their recommendations are, in terms of
9 that further work. As Josh pointed out, we're looking
10 towards December to be talked to. And we will
11 continue to present that information to the RAB, in
12 terms of where that's going.

13 The next thing on the list is a
14 video about unexploded ordnance. And the video talks
15 about the difficulties or the impacts associated with
16 cleaning unexploded ordnance. We think it's an
17 opportune time to show it -- to show you this. And I
18 want to point out it's an Army video. It was produced
19 by the Army.

20 We think it's an opportune time to
21 show you this, because we're getting close to
22 releasing the EE/CA results on the investigations for
23 the Alpha, Bravo, and Charlie areas. You guys point

1 back out to the UXO map on the back wall, back there.

2 And we do want to show you some of those impacts.

3 The video was produced by the Army
4 Environmental Center. It actually -- they actually
5 came down here -- a lot of you guys weren't here --
6 but they came down here and took shots of the RAB --
7 so, some of you might even see yourself in there,
8 others, just weren't around -- as well as pictures in
9 some of the work that's been ongoing on
10 Fort McClellan.

11 I think it's an interesting video,
12 and I really think it portrays the problems associated
13 with doing cleanup of UXO. Brenda. You ready?
14 (Whereupon, there was a video shown off record.)

15 MR. RON LEVY: You all need to
16 understand this went out nationally and so -- there
17 were a number of folks from this RAB in there, so, if
18 you felt like a star, you were one.

19 I'd be glad to take any questions.
20 We've got folks from Huntsville and Foster Wheeler
21 here.

22 MR. CRAIG BRANCHFIELD: I thought it
23 was a good video. I thought it was very informative.

1 No questions?

2 Onward and upward. Agency reports.
3 JPA, Miki's not here tonight. Philip told me he had
4 technical challenges or something; is that right? So,
5 he didn't have a report tonight.

6 MR. PHILIP STROUD: Yeah, I'll give
7 something. I'm going to let him go ahead and go
8 first.

9 MR. CRAIG BRANCHFIELD: Okay. We'll
10 let Doyle jump in there first, then.

11 MR. DOYLE BRITTAIN: Been working
12 here now for about twenty months. When I came, there
13 was a lot of work to be done but -- and we did a lot
14 of work. But a lot of it was in the developed area,
15 small parcels, you know, a half acre here, two acres
16 there, something like this. And we did a lot of work.
17 And I think we have a lot to be proud of from that
18 standpoint.

19 But we're now to the place that
20 things are slowing down, and we're having to shift
21 gears. We're getting into some of the more complex
22 work that has to be done. So, basically, for the
23 lasts two months, I have been going back through and

1 just doing research on the data that have been
2 collected in the ranges and also in the landfills,
3 fill areas, and trying to get a handle on that and
4 trying to, in my own mind, chart out a course forward.

5 Been working with the Army on this.
6 Been working with ADEM on this. And I know that
7 groundwater is a concern, and I understand
8 Mayor Kimbrough's concern over at the City of Weaver.

9 So, basically, what I have is a
10 hydrogeologist that I've basically given cart blanche
11 to and told him that I want him to sit down with the
12 Army's hydrogeologist. I want every piece of data
13 reviewed. Understand where all the wells are. Why
14 they are there. Do we have enough wells? Are they in
15 the right place? Do we have data gaps? What else do
16 we need?

17 Ben Bentskowski over here, some you
18 may know him. He's also working over at the Depo.
19 But he is working with us to basically understand
20 what's going on in the groundwater here. We've been
21 working on the -- what the contamination is in the
22 soil. I've been going back, taking a look at that,
23 trying to get a handle on what the data gaps are

1 there.

2 And the risk assessments -- and I
3 think most recently we gave comments on the
4 Baines Gap Road ranges and also the ranges over at
5 Iron Mountain Road. Right now, we're wrestling with a
6 couple of -- what we call FOSTs, F-O-S-T-s, finding of
7 suitability to transfer property. And I think one of
8 those, we'll have comments out on within the next
9 week. Then the SuperFOST will take a couple more
10 weeks to get that out.

11 But I'm not generating a lot of
12 documents right now, but there is a lot of research
13 that is going on, a lot of work, because we're at the
14 place that some hard decisions are going to have to be
15 made. And it's going to be important that EPA and the
16 State and the Army sit down and take a look at this
17 and make those decisions and go forward.

18 So, that's kind of where I am. This
19 is where I have been spending all of my time for the
20 last couple of months. Philip.

21 MR. PHILIP STROUD: I'm in agreement
22 with Doyle. It's been a -- these last couple of
23 months have been really testing to all of us here.

1 And especially going back and reviewing the
2 information Doyle's talking about, bringing another
3 hydrogeologist in. It gets our eyes wide open on
4 these things.

5 And cover a few things -- I don't
6 have my little pass-out sheet because we're really --
7 we're into reviewing some pretty tough reports right
8 now, and it's a slow-down period. And it's been --
9 several of the remedial investigation reports are
10 coming in, and these things are very voluminous and
11 very complex and very complicated. And you'll see
12 more of our groups coming in from the groundwater side
13 and Ben Benthowski coming in.

14 Also, I've introduced the last time
15 my UXO subcontractor. We've spent an enormous amount
16 of time getting him up to speed, for the very reasons
17 here, this isn't going to be an easy site to clean up.
18 And so like I say, it's been taking a long time to get
19 him up to speed on things.

20 I have been bringing him here to the
21 site. We've had field visits. He's going through a
22 lot of the UXO presentations and getting up to speed
23 with the UXO safety, etcetera, etcetera.

1 We've been dealing hard with the
2 landfill EE/CAs, especially landfill number three in
3 this presentation here. And we're also reviewing some
4 of the FOSTs. And we're making sure they're legally
5 correct.

6 And then, been spending a lot of
7 time, also, with Doyle's subcontractor here for
8 hydrogeology, going on field visits here. So, we've
9 been very busy.

10 I guess it's getting back up to
11 speed, reviewing old data, to make sure we can answer
12 your questions, appropriately. And that's kind of
13 where we are right now.

14 MR. CRAIG BRANCHFIELD: Good. Any
15 questions for Philip or Doyle?

16 MAYOR ED KIMBROUGH: I know the JPA
17 is, seems like, constantly changing their land-use
18 plan. What effect is that having, as far as the
19 clean-up? I know you were talking about UXO and if
20 you're going to do for construction, if you're going
21 to do for park use and all like that.

22 And I think -- I know they've
23 changed from the original -- are you -- are you

1 changing the review and evaluation of those properties
2 with their request or are you still acting on the --

3 MR. GLYNN RYAN: We only have one
4 submission for the economic development conveyance,
5 which concluded their reuse plan. That's the only one
6 we have. There've been some maps of a transportation
7 study and some other things, but there's been no
8 change to the reuse plan.

9 MAYOR ED KIMBROUGH: They have not
10 submitted --

11 MR. GLYNN RYAN: No --

12 MAYOR ED KIMBROUGH: They've talked
13 about it -- so, that wouldn't affect -- would that
14 affect, y'all, if they do --

15 MR. DOYLE BRITTAIN: We, by law,
16 are required to clean up to whatever the approved
17 reuse plan is.

18 MAYOR ED KIMBROUGH: Approved by?

19 MR. DOYLE BRITTAIN: The community.
20 It's the community reuse plan that has to go through
21 and get community approval and finally work --

22 MAYOR ED KIMBROUGH: So, if they
23 redirect, then --

1 MR. DOYLE BRITTAIN: If they come up
2 and develop a new reuse plan and go through all of the
3 proper procedures to develop it and get it approved by
4 the community and all of the other powers that be and
5 then get it approved by the Army, then we can change
6 directions.

7 MR. GLYNN RYAN: We don't approve
8 their reuse plan. They submitted it to us. And we
9 don't necessarily clean up to a reuse plan. That is
10 something we use to evaluate the clean-up. Doyle said
11 clean up to a reuse plan, which we don't do. We
12 evaluate the clean-up based upon the reuse plan.

13 MAYOR ED KIMBROUGH: I know when
14 like -- I think at the last JPA meeting -- and I think
15 they submitted or are submitting (phonetic) it, but
16 the proposal of a new road in the northern area. So,
17 at this time, that's not an official request, so y'all
18 are not acting on that; is that correct?

19 MR. GLYNN RYAN: No.

20 MAYOR ED KIMBROUGH: Okay, thank
21 you.

22 MR. CRAIG BRANCHFIELD: Any other
23 questions for Philip or Doyle? No.

1 Technical review committee and
2 update on the TAPP contract hours. As I mentioned
3 earlier -- sorry, I skipped right over the action
4 summary sheet, didn't I?

5 MR. RON LEVY: Yeah.

6 MR. CRAIG BRANCHFIELD: Let me
7 finish my thing and then we'll jump back to you.

8 MR. RON LEVY: Just the point of
9 fact the JPA is not here, so we're not able to get
10 that.

11 MR. CRAIG BRANCHFIELD: Right, the
12 JPA is not -- Miki is not here tonight.

13 Ron, he's started with five hundred
14 hours available to provide assistance to us. He has
15 four hundred and sixty-two and some change left. I
16 encourage you strongly that if there is any activities
17 out here that you think we -- you'd like to have Ron's
18 assistance on and helping explain to us, let me know.

19 Don't worry about whether it's
20 within his scope of work or not. I'll get that worked
21 out with Ron. But E-mail me, call me, let me know.
22 And we'll turn that over to Ron to take a look at for
23 us, you know, going through Ron Levy here to get that

1 done. So, I encourage you to put a little thought
2 into it, and if there is something we want Ron to help
3 us out with, let me know, please.

4 And with that said, we'll jump to
5 the action summary sheet.

6 MR. RON LEVY: Yeah, I'm not -- I
7 don't intend to do a detailed review of the action
8 summary sheet. I do want to ask right up front: Do
9 y'all find this format helpful in the action summary
10 sheet, since it's all presented early on and gives a
11 snapshot of the activities on the installation? We
12 certainly take comments and -- to improving it, if you
13 see something of interest, in terms of how to present
14 data to you.

15 It's also a reflection of the work
16 that -- not just the Army is doing, but what EPA and
17 ADEM is doing. And you can get a feel for their
18 reviews as we -- and their dealings with us, if you
19 look at it.

20 MR. CRAIG BRANCHFIELD: I have a
21 quick question, Ron. And I know we're running late,
22 so I'll try to go quick here. But one thing that I
23 get confused with from time to time is, for example,

1 Doyle said that he's got a number of RIs that he's --
2 RI reports that he's beginning to take a look at.

3 And I was skimming through the
4 action summary sheet. And I see -- the only reference
5 to an RI I see is on landfill three. I know there's
6 lots and lots and lots of documents out there, but is
7 there a way that we can come out and somehow connect
8 that, I guess or --

9 MR. RON LEVY: Does --

10 MR. CRAIG BRANCHFIELD: I mean,
11 Philip said he's looking at some RIs. And I have no
12 idea what those RIs are.

13 MR. RON LEVY: In terms of public
14 review on those documents, until we get to the
15 regulatory review, we really don't -- we don't present
16 them to the public, which is this board. But we can
17 define what -- what the activity is. I don't -- do
18 you see a problem with that?

19 MR. CRAIG BRANCHFIELD: All I'm
20 throwing out is that there's a gap there, when I hear
21 Philip saying he's looking at something -- if it's not
22 appropriate or shouldn't -- appropriate's not the
23 right word, but if it's not the right time in the

1 process for us to know what's in those documents, I
2 don't have a problem with that. But that's --

3 MR. RON LEVY: Some of the sites
4 that Philip is talking about are still in the early
5 stages of the RI. He's going through drafts of the
6 document.

7 MR. CRAIG BRANCHFIELD: Okay.

8 MR. PHILIP STROUD: And a lot of
9 them are like Pelham Range, too, so, there is enormous
10 amount of work going on over there, that's not
11 presented here on a regular basis.

12 MAYOR ED KIMBROUGH: Could you
13 remind me what an RI and an FS and a BSA is?

14 MR. RON LEVY: BS --

15 MAYOR ED KIMBROUGH: BSA, it's on
16 the EPA and ADEM, it's got an RI and FS and BSA at all
17 landfill and fill areas is needed. On this summary
18 sheet that --

19 MR. RON LEVY: Oh, that was the --
20 the one that Ron Grant put out?

21 MAYOR ED KIMBROUGH: Yeah, I just --
22 I don't -- you know, I'm a slow learner. RI and
23 everything, you know.

1 MR. RON LEVY: Well, as we've talked
2 about the process, there is a baseline -- excuse me.
3 There is a baseline document. That was the
4 environmental baseline report that we -- the survey
5 that we did, an EBS. We stepped through this.

6 As you start to define whether or
7 not you got a problem, you do an SI. SI says, yes,
8 there is a problem or no, there isn't a problem, which
9 stands for site investigation.

10 RI, okay, you said in your SI you've
11 got a problem. You moved into RI. You're now
12 defining what the nature and extent of that problem
13 is. And then part of that RI generally comes an
14 action and a feasibility study, which looks at what's
15 the best way to address that problem. So, an FS
16 stands for feasibility study.

17 MAYOR ED KIMBROUGH: What's BSA?

18 MR. RON LEVY: That's a baseline --
19 that was a baseline --

20 MR. PHILIP STROUD: Risk assessment.

21 MR. RON LEVY: Risk assessment is
22 what he's talking about there.

23 MR. DOYLE BRITTAIN: BRA.

1 MR. PHILIP STROUD: BRA, not BSA.

2 MAYOR ED KIMBROUGH: BRA?

3 MR. RON LEVY: That's confusing.

4 That's generally -- as part of the RI, you're also
5 looking at risk, human health and ecological, so
6 there's a baseline risk assessment.

7 MAYOR ED KIMBROUGH: But RI was
8 remediation to take place?

9 MR. RON LEVY: Remedial
10 investigation.

11 We discussed the landfill three. I
12 won't go into that. That's the first thing on the
13 action summary sheet.

14 There is discussion again about the
15 Alpha, Bravo, and the Charlie area EE/CA. We're back
16 out in the Alpha area, taking some additional samples
17 after we went out and looked at our data.

18 This is all part of the process. As
19 we look at data, we go back, and if we think we've got
20 data gaps, then we'll go back and take additional
21 samples. And we're doing that on our own.

22 Bravo, the same thing. Charlie,
23 we've been discussing with ADEM and their

1 subcontractor, the work plan. I think we had a very
2 successful meeting recently with ADEM on that. Try to
3 work out some of their concerns. I think it really
4 turned out well.

5 Then we continue to move forward on
6 the Charlie area investigation. Which again, for
7 those of you who don't remember the map in the back,
8 the big green area on the one that says Fort McClellan
9 UXO EE/CAs is the Charlie area. And you can see the
10 Bravo color and the Alpha color up there, as well.

11 M-101, we're preparing the final
12 removal report. We've completed all that work. So,
13 that's nearing completion, too. We should be able to
14 share that with you at some point in the future here.

15 And the eastern bypass, we're
16 continuing with ongoing work out there up in the north
17 central portion, as well as that additional forty
18 acres that ALDOT defined for clearance purposes.

19 For those of you who are not aware,
20 if you look up off my left-hand shoulder here, that's
21 that the map right against the green display. The red
22 area is the additional forty acres that I was talking
23 about. And it's the area which is that greenish

1 color -- I don't know what you call that -- that we're
2 still working in, up in the north central portion of
3 that. So, field work is ongoing.

4 Status of the CWM, of course, we
5 finished on main post. We're putting together an
6 action memorandum on that. Pelham Range, the field
7 work is complete. We are working through regulatory
8 comments. These are both investigations where we
9 looked at chemical warfare material on both main post
10 and Pelham Range.

11 As you can see, on the landfill
12 EE/CA, the big piece there is as of today the public
13 comment period ended. I will say that we are in
14 receipt of the JPA's comments.

15 I think Doyle pointed out the
16 finding of suitability. There is two out there. If I
17 could point to the map on the right-hand side, the
18 very right-hand side of that wall, everything in the
19 green has been transferred.

20 That portion that's defined in the
21 yellow was in the SuperFOST two. And then -- well, I
22 guess you don't see -- the other FOST that he's
23 talking about is tract three. It's this piece of

1 property up here -- there you go -- that --

2 MR. JOE DOYLE: This portion right
3 here and this portion right here.

4 MR. RON LEVY: We're looking to get
5 into ALDOT's hands so they can redirect the entrance
6 into Summerall Gate Road and allow for development
7 down into that area.

8 We've got about eight-five personnel
9 on post that are contractors or Corps folks. And, of
10 course, we've always got an ongoing concern about UXO
11 safety. And people walking into areas out there while
12 we're investigating, is a major concern to us, so,
13 that was on the action summary sheet. Anybody got any
14 questions about that?

15 MR. CRAIG BRANCHFIELD: Real quick,
16 Ron, the time frame for responding to those comments
17 on the landfill EE/CA.

18 MR. GLYNN RYAN: We're doing a
19 review. It took a hundred and twenty days to get
20 comments. It will take us awhile to review each one
21 of the comments and address them. I don't have a
22 date.

23 MR. CRAIG BRANCHFIELD: No flavor,

1 month, three months, anything like that?

2 MR. GLYNN RYAN: No.

3 MAYOR ED KIMBROUGH: With the JPA, a
4 hundred and thirty-three questions that they
5 submitted?

6 MR. GLYNN RYAN: Yeah, that's right,
7 part of it, plus EPA, ADEM. And I don't know if we
8 had any other public comments. Ron, did we have any
9 others?

10 MR. RON LEVY: We had a letter from
11 the City of Anniston, but he essentially said that he
12 supported EPA and ADEM's and the CDG's comments, which
13 are -- came from the JPA.

14 MR. CRAIG BRANCHFIELD: Any other
15 questions? Okay. We'll move into audience comments.
16 Any questions or comments from the audience? No.

17 Before we adjourn, don't forget to
18 pick up your paperwork from the table back here.
19 Encourage anybody that has anyone who wants to be a
20 member to get their applications in.

21 And there was a third thing -- oh,
22 any ideas for Ron, anything you would like Ron to take
23 a look at for us, let me know.

1 We'll hear a motion to adjourn for
2 the evening?

3 DR. MARY HARRINGTON: Motion to
4 adjourn.

5 MR. CRAIG BRANCHFIELD: Second?

6 MR. JERRY ELSE: Second.

7 MR. CRAIG BRANCHFIELD: All in
8 favor? Opposed? Motion is carried. Thanks for
9 coming.

10 (Whereupon, the meeting was adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

1 C E R T I F I C A T E

2 STATE OF ALABAMA)

3 CALHOUN COUNTY)

4

5 I, SAMANTHA E. NOBLE, a Court
6 Reporter and Notary Public in and for The State of
7 Alabama at Large, duly commissioned and qualified,
8 HEREBY CERTIFY that this proceeding was taken before
9 me, then was by me reduced to shorthand, afterwards
10 transcribed upon a computer, and that the foregoing is
11 a true and correct transcript of the proceeding to the
12 best of my ability.

13 I FURTHER CERTIFY this proceeding
14 was taken at the time and place and was concluded
15 without adjournment.

16

17

18

19

20

21

22

23

P.O. BOX 544
OHATCHEE, AL 36271
256-892-0591
FAX 256-892-3001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

IN WITNESS WHEREOF, I have hereunto
set my hand and affixed my seal at Anniston, Alabama,
on this the 25th of August, 2002.

SAMANTHA E. NOBLE
Notary Public in and for
Alabama at Large

MY COMMISSION EXPIRES: 11-19-2005.