

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at
Building 215, Fort McClellan, Alabama, on the 15th day
of July, 2002, commencing at approximately 6:30 p.m.

P.O. BOX 544
OHATCHEE, AL 36271
256-892-0591
FAX 256-892-3001

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-96
CERTIFICATE	97-98

1 MR. CRAIG BRANCHFIELD: Let's go
2 ahead and call the meeting to order, please. Thank
3 you. We will start off by calling the roll.
4 Mr. Branchfield is here. Mr. Ryan is here.
5 Mr. Beckett? Mr. Buford? Mr. Clendenin?
6 MR. MONTY CLENDENIN: Here.
7 MR. CRAIG BRANCHFIELD: Mr. Conroy?
8 Dr. Cox?
9 DR. BARRY COX: Here.
10 MR. CRAIG BRANCHFIELD:
11 Mr. Cunningham? Mr. Elser?
12 MR. JERRY ELSE: Here.
13 MR. CRAIG BRANCHFIELD: Ms. Fathke?
14 MS. DONNA FATHKE: Here.
15 MR. CRAIG BRANCHFIELD:
16 Mr. Franklin?
17 MR. CURTIS FRANKLIN: Here.
18 MR. CRAIG BRANCHFIELD: Mr. Freeman
19 is excused. Dr. Harrington is excused. Mr. Hood?
20 Mr. Hopper is excused. Mayor Kimbrough?
21 MAYOR WILLIAM KIMBROUGH: Here.
22 MR. CRAIG BRANCHFIELD:
23 Mr. Stratton? And Mr. Thomassy has resigned.

1 Mr. Grant?

2 MR. RON GRANT: Here.

3 MR. CRAIG BRANCHFIELD: Mr. Levy?

4 MR. RON LEVY: Here.

5 MR. CRAIG BRANCHFIELD: Mr. Doyle --

6 how do I pronounce your last name, Doyle? I'm always

7 confused.

8 MR. DOYLE BRITTAIN: Brittain.

9 MR. CRAIG BRANCHFIELD: Brittain,

10 Mr. Brittain?

11 MR. DOYLE BRITTAIN: Here.

12 MR. CRAIG BRANCHFIELD: Mr. Stroud?

13 MR. PHILLIP STROUD: Here.

14 MR. CRAIG BRANCHFIELD: If we could

15 go around the room briefly and have members of the

16 audience just introduce yourselves and share with us

17 your affiliation, we'd appreciate it. We can, I

18 guess, start here and just go front row and weave our

19 way around.

20 MR. JOE DOYLE: Joe Doyle,

21 Transition Force, Legal Office.

22 MR. BEN REAVES: Ben Reaves, I'm --

23 THE COURT REPORTER: I'm sorry. I

1 need for y'all to speak up for me, please.

2 MR. BEN REAVES: I'm Ben Reaves,
3 geologist working for the City of Weaver.

4 THE COURT REPORTER: Thank you.

5 MR. DWIGHT NICHOLS: Dwight Nichols,
6 City of Weaver.

7 MS. JENNIFER HEATH: Jennifer Heath,
8 toxicologist (inaudible) --

9 THE COURT REPORTER: I'm sorry. I
10 still can't hear you.

11 MS. JENNIFER HEATH: Jennifer Heath
12 --

13 THE COURT REPORTER: Hill --

14 MS. JENNIFER HEATH: -- toxicologist
15 and risk assessor at Matrix Design, hired by JPA to
16 review the EE/CA.

17 THE COURT REPORTER: Okay. Thank
18 you.

19 BEN BENTKOWSKI: I'm Ben Benthowski
20 with Gannett-Fleming, EPA contractors.

21 THE COURT REPORTER: Thank you.

22 MR. TED SIMON: I'm Ted Simon. I'm
23 a toxicologist with EPA.

1 MR. HUGH DICK: I'm Hugh Dick,
2 Gannett-Fleming EPA contractor.

3 MS. BETTY DICK: I'm Betty Dick.

4 MR. PAUL GOETCHIUS: Paul Goetchius,
5 Shaw Environmental, toxicology, risk assessment.

6 MR. ROBIN ZIMMER: Robin Zimmer,
7 Shaw Environmental.

8 MR. STEPHEN MORAN: Stephen Moran,
9 Shaw Environmental.

10 MR. JIM GRASSIANO: Jim Grassiano,
11 ADEM.

12 MS. KAREN PINSON: Karen Pinson,
13 Transition Force, Environmental.

14 MR. MARK HARRISON: Mark Harrison,
15 ADEM.

16 MR. SPENCER NELSON: Spencer Nelson,
17 URS Corporation contracted to ADEM.

18 MR. BILL SHANKS: Bill Shanks,
19 Transition Force, Environmental Office.

20 MR. BILL GARLAND: Bill Garland,
21 U. S. Fish and Wildlife Service.

22 MR. BILL WOODALL: Bill Woodall,
23 Mobile District Corps of Engineers.

1 MR. LEE COKER: Lee Coker, Corps of
2 Engineers.
3 MR. ELLIS POPE: Ellis Pope, Corps
4 of Engineers, Mobile.
5 MR. CHIP PARROTT: Chip Parrott,
6 Corps of Engineers, Mobile.
7 MR. ART HOLCOMB: Art Holcomb,
8 Foster Wheeler Environmental.
9 MR. DAN COPELAND: Dan Copeland,
10 Huntsville Corps of Engineers.
11 MR. PAUL JAMES: Paul James,
12 Transition Force, Environmental Office.
13 MR. BOB DAFFRON: Bob Daffron,
14 National Guard Training Center.
15 MR. JOSH JENKINS: Josh Jenkins,
16 Shaw Environmental.
17 MS. LISA HOLSTEIN: Lisa Holstein,
18 Transition Force, Environmental.
19 MS. BRENDA CUNNINGHAM:
20 Brenda Cunningham, Transition Force, Environmental.
21 MR. CRAIG BRANCHFIELD: Is that it?
22 Okay. Just for the record, Mr. Beckett walked in
23 while we were doing the audience introductions.

1 Okay. I'm not sure we have enough
2 people for a quorum to review and approve the minutes
3 for May and June. How many do we need?

4 MR. RON LEVY: There are seventeen
5 members. It takes a majority -- a quorum is the
6 majority of the members, which would be nine --

7 MR. CRAIG BRANCHFIELD: One, two,
8 three, four --

9 MR. RON LEVY: We're one short.

10 MR. CRAIG BRANCHFIELD: -- five,
11 six, seven, eight. We're one short. Well, we won't
12 be able to approve or disapprove the minutes. But has
13 anyone who's had a chance to review them have any
14 questions on them of those who are present for May or
15 June?

16 MAYOR WILLIAM KIMBROUGH: We have
17 nine, don't we?

18 MR. CRAIG BRANCHFIELD: We have
19 eight. Mr. Grant's not a voting member. We have
20 eight voting members; is that right?

21 MR. RON LEVY: You may get it before
22 the end of the meeting.

23 MR. CRAIG BRANCHFIELD: Yeah, we may

1 get someone to wonder in. If somebody wonders in,
2 we'll come back to this item. All right. Has
3 everybody had a chance to review the minutes, and are
4 there any questions on them before we move on? And
5 like I said, if we do get one more person come in,
6 we'll revisit this item before we adjourn and offer a
7 motion to either approve or modify, if necessary, the
8 minutes.

9 Can everybody hear me all right?
10 Anyone not hear me? It's a big room.

11 Okay. Moving on to old business:
12 Extension of the landfill EE/CA, I guess, Glynn or
13 Ron, we've -- that public comment period has been
14 extended to August -- is it 19th or 16th? I've seen
15 both dates.

16 MR. GLYNN RYAN: 19th. At the
17 request of the JPA and the City of Anniston, we
18 extended the public comment period until the 19th of
19 August. I think the letter was passed out. If not,
20 we can get you a copy of that. But --

21 MR. CRAIG BRANCHFIELD: Okay. Just
22 one brief -- brief point on that, before we move on.
23 I guess -- and I apologize, I wasn't -- obviously, did

1 not attend the last meeting. But my understanding is
2 there was some questions as to whether I passed along
3 the feedback I had received from the RAB members to
4 Mr. Grant for his review. I did pass on all the
5 feedback I received via E-mail. I did not pass on any
6 feedback that was given to me during the meeting,
7 simply because I didn't have anything to -- I didn't
8 write anything down or keep any notes and had
9 anticipated that people would E-mail those concerns to
10 me.

11 So, if there are any concerns that I
12 did not get in my E-mail to Mr. Grant, to consider
13 during his review of the EE/CA, either let me know
14 after the meeting -- and I've got a pen. So, I'll
15 write them down, and I'll pass them on -- or else feel
16 free to E-mail me.

17 And also, I guess there were a
18 couple of people who said they did not receive my
19 E-mail. I'll go back and check my -- I'll take an
20 action to check my E-mail list, because I did enter
21 everybody's E-mail address into my computer that was
22 on the list that Brenda has put together for us. But
23 if I've incorrectly entered someone's E-mail or you

1 haven't been getting E-mails from me on a periodic
2 basis, let me know so I can make sure I double check
3 that and that you do get those E-mails.

4 So, I apologize for any confusion.
5 But if you do have comments on the EE/CA or something
6 you'd like Mr. Grant to address, let me know, and I'm
7 sure we can get that accomplished before the 19th --
8 before the end of the public comment period.

9 MR. RON LEVY: And here's our ninth
10 member.

11 MR. CRAIG BRANCHFIELD: And we have
12 our ninth member. For the record, we'll show
13 Mr. Buford as present. We'll give him a chance to sit
14 down. We blamed you for everything that's gone wrong
15 in the past. While Mr. Buford gets settled, I'll just
16 run through a couple more items here and then we'll go
17 back to the minutes.

18 My understanding is there was also
19 an item from the last meeting to prepare a letter to
20 Mr. Thomassy, offering our thanks for his service to
21 the RAB over the last years. I have that letter.
22 Glynn signed it, I've signed it. I guess it will go
23 out in the mail tomorrow, if anybody would like to see

1 it, just come up after the meeting, and I'll show it
2 to you. But it's a well-written letter, and I think
3 it reflects the good -- not just good, but the
4 excellent service that Mr. Thomassy's given to the RAB
5 over the years. So, we certainly -- it is certainly
6 appropriate to thank him for that time.

7 And we have one more person present.
8 Now we're doing better than a quorum. Mr. Hood is
9 present.

10 Next action item, I guess we have to
11 have a vote as to whether to send a letter to -- boy,
12 they're just coming in left and right. For the
13 record, Mr. Conroy is present. Now, we can't blame
14 Pete for anything.

15 Looking at the attendance list,
16 Mr. Stratton has not attended a single RAB meeting
17 this year. We did send a letter to him in March,
18 asking if he was still interested in being a member of
19 the RAB. We received no response. So, I take that to
20 mean that Mr. Stratton is no longer interested in
21 participating on the RAB.

22 So, with that, I'd like to offer a
23 motion to send a letter to Mr. Stratton, informing him

1 that he's no longer a member of the RAB.

2 MS. DONNA FATHKE: I so move.

3 MR. JERRY ELSE: Second.

4 MR. CRAIG BRANCHFIELD: All those in
5 favor? Any opposed? All right.

6 (Whereupon, there was discussion off the record.)

7 MR. CRAIG BRANCHFIELD: Then the
8 motion has been carried. I don't know all the proper
9 lingo, so you guys feel free to correct me as we move
10 along here.

11 I'm a project manager. I'm not used
12 to asking people if I can do something or not. I just
13 tell them we're going to do this, and that makes my
14 life easy. so, you guys keep me straight on the
15 straight and narrow.

16 But for the record, that motion to
17 send the letter to Mr. Stratton, informing him that
18 he's been removed from the RAB, has been carried. And
19 I will sign that letter and pass it on to the Army at
20 the end of the meeting.

21 And finally, on old business,
22 applications for new members, I have a note here that
23 if anyone knows of anybody who is interested in

1 serving on the RAB, we can get an application to them.
2 Those applications are due by August 12th. And that
3 will give us some time to take a look at them, the
4 members of the RAB to look at them. It will give us
5 about a month.

6 And then on the September 16th RAB
7 meeting, we'll vote to fill some of the vacancies that
8 are in place. And I guess there will be at least two
9 vacancies, because we've also been informed that
10 Mr. Hopper will be submitting a letter of resignation
11 before the next meeting. So, I guess that will leave
12 us with at least two vacancies to fill.

13 Three vacancies, okay. That's
14 right. Mr. Thomassy retired. So, that would be three
15 vacancies. So, we need some applications.

16 Before we move into the program --
17 I'm sorry, I should also mention here that there is a
18 note here that we haven't received any applications,
19 yet. So, that's a call to action for all of us, to
20 try and find some applicants.

21 MR. RON LEVY: Three on file.

22 MR. CRAIG BRANCHFIELD: But there
23 are three on file, that's correct, from -- that have

1 been previously submitted.

2 Let's move back up to approval of
3 the minutes for May and June, since we now have a
4 quorum present. And once again, ask if anyone who has
5 not had an opportunity to look at the minutes, let me
6 know before I ask for a motion to approve the minutes
7 for May and June. Has anyone not had a chance to look
8 at the minutes or does anyone have any questions on
9 the minutes? No.

10 Well, do I hear a motion to approve
11 the minutes for May and June?

12 MAYOR WILLIAM KIMBROUGH: So moved.

13 MR. JAMES BUFORD: Second.

14 MR. CRAIG BRANCHFIELD: All in
15 favor? Opposed? Let the record show that the motion
16 has been carried to approve the minutes for May and
17 June. I feel so smart when I say that.

18 Before we move into the program, is
19 there any other old business that anyone would like to
20 put on the table for discussion? With that, Ron or
21 Glynn, I guess I'll turn it over to you.

22 MR. RON LEVY: Yeah. The program
23 today calls for two presentations: One on human

1 health and one on ecological risks. And if time
2 allows us, a video on environmental impacts of
3 clearance for unexploded ordnance, which we thought
4 was a very interesting video that had some scenes at
5 Fort McClellan and our RAB previous go rounds.

6 I'm going to let Doyle introduce his
7 folks. And maybe a little lead-in, because he's got
8 the human health piece.

9 MR. DOYLE BRITTAIN: At this time I
10 would like to introduce to you Ted Simon. Ted is a
11 Ph.D. Toxicologist, works with the U. S. Environmental
12 Protection Agency. He's on a number of different
13 national committees working with risk assessment.

14 He's done a lot of research in this
15 area, himself. And I did not ask him to write
16 anything down for me to use to read because the last
17 time he did that, it was too long. So, enough said.

18 And what he will be doing is talking
19 with us about the human health part of risk
20 assessment. We'll follow that up with another
21 separate presentation on the ecological risk
22 assessment. They are similar, but there are some very
23 distinct differences.

1 I have asked Ted to make this
2 presentation in non-technical terms. We are trying to
3 get a basic understanding by everyone here, as far as
4 to what risk assessment is all about. So, if Ted says
5 anything you don't understand, write it down, and
6 after his presentation is over, let him go back and
7 explain it again, because when you leave, I'd like for
8 you to have some general appreciation for what all
9 goes into doing a human health risk assessment.

10 If Ted says anything, raises any
11 questions in your mind, I would ask you to write those
12 down. And again, hold your questions until after
13 Ted's presentation is complete. And then feel free to
14 ask him any questions that you might have.

15 I understand that we have some
16 people here that may be highly technical and have a
17 good working knowledge, be experts, also, in this
18 field. I would ask those people to hold their
19 questions and let's have a meeting to talk about that
20 at another time, at another place.

21 But I don't want to get involved in
22 those highly technical questions tonight. Tonight is
23 for the general, average person that might be here.

1 So, with that, I'll turn it over to Ted.

2 MR. TED SIMON: Doyle, thank you. I
3 guess my real job is to instill a sense of calm into
4 you, so that in this nice, warm room when we turn out
5 the lights for the video, you'll be properly prepared.
6 So, this is an introduction to human health risk
7 assessment. And here's our road map.

8 I'm going to spend a little bit of
9 time on an introduction. And I'm going to
10 lickity-split to the parts of a risk assessment so you
11 understand them. And the last thing I'm going to talk
12 about is probably the question that you most consider,
13 why do we feel the EPA risk assessments are
14 protective. So, three-part talk. So, here is the --
15 now, the biggest challenge tonight is going to be
16 operating this remote mouse.

17 Here is -- starting my introduction:
18 What is risk? Well, we're going to define it as the
19 likelihood of injury, disease, or death, from a
20 variety of possible circumstances.

21 What is environmental risk? That's
22 the likelihood of injury, disease, or death, resulting
23 from exposure to a potential environmental hazard.

1 Now, it's important to remember
2 there's no such thing as zero risk. Who came in a car
3 tonight? Right, okay, most of us. If you drive a car
4 on the roads, you're assuming some risk.

5 Anyone eat peanut butter? Okay,
6 peanut butter contains a chemical called an anthropox
7 (phonetic), which in laboratory analysis, has been
8 shown to cause cancer. So, if you eat peanut butter,
9 there is a risk to eating peanut butter. So, there's
10 nothing -- there's no free lunch here, nothing is risk
11 free.

12 That said, we need to have
13 regulatory guidance. We need to have some sort of
14 level below which we say this is a risk below which
15 we'll really not concerned so we can go ahead and make
16 the sorts of decisions that we do for environmental
17 cleanup.

18 Now, again, speaking of
19 environmental risk. For a risk to occur, a hazard
20 must exist. And the second thing is that people have
21 to be exposed to that hazard.

22 We have some nasty chemicals buried
23 sixty feet below ground. I can't think of too many

1 people or animals who are exposed sixty feet below the
2 ground. I guess if you have -- you can argue with the
3 cave spelunkers that they might be exposed, but it's
4 really begging the question. So, without exposure, a
5 hazard can't pose a risk.

6 Now, that said, different degrees of
7 exposure produce different levels of risk. You have
8 the person that comes in contact with some hazardous
9 substance one time a year, they're going to be at a
10 lower risk than someone who comes into contact with it
11 a hundred times a year. Now, that said -- and because
12 we have levels of risk that in a regulatory or -- in a
13 regulatory sense, we say are below -- that's a level
14 below which we're not concerned.

15 There are detectable levels of
16 chemicals that can remain out in the environment and
17 not produce a risk. Yes, they will produce some risk
18 that we can determine, but it is below levels of
19 concern. So, again, to follow that up, safe levels,
20 these safe levels are determined using risk
21 assessment.

22 So, what is risk assessment? It's a
23 science based decision tool. It's a way to sort of

1 separate what we know and what we don't know and come
2 up with some means of making decisions than we, as
3 risk assessors, can provide the decision makers, and
4 they can go ahead and make the decision. It's a
5 method to evaluate these harmful effects of -- or
6 potentially harmful effects of environmental
7 contaminants, and it's a real structured method.

8 The way we do risk assessments is to
9 divide and conquer. Here are the aspects we know.
10 Let's sort of take little things that we know and see
11 if we can stack them up together so we can know
12 something about a larger picture.

13 Here are the four parts of the EPA
14 risk assessment: There's hazard identification,
15 exposure assessment, toxicity assessment, and risk
16 characterization. But then this is not all there is
17 to environmental decision making.

18 We're going to take this risk
19 assessment, and we're going to use the results that we
20 get from risk characterization and bring those into a
21 regulatory decision. There is a separation between
22 risk assessment and risk management, between the
23 scientific part of it that I do and then the -- I turn

1 that information over to -- I stop right here --
2 (demonstrating) -- this large circle that says,
3 "regulatory decision."

4 And then my results are used by the
5 decision makers. And they're going to consider
6 control options, such as technical feasibility. Can
7 they actually clean it up? Can they put some sort of
8 engineering control? Can they put some institutional
9 control to control exposure to this hazard?

10 There are other things that they
11 would think about, non-risk analysis, such as economic
12 factors, sociopolitical and legal factors. And let me
13 say, my job is easy, I stop right here. The decision
14 makers have the hard job, because not only do they
15 have to consider the results of the risk assessment
16 that I handed them, but they have to consider all of
17 these other factors in coming to this regulatory
18 decision.

19 Now, risk characterization. We want
20 to make sure that we give the decision makers
21 something that, if they choose to use it, if they do
22 use it, it will be protective of human health.

23 Now, it's important to remember that

1 risk assessment is a decision tool so that the
2 uncertainties that we deal with in risk assessment
3 don't permit us to determine what the actual risks of
4 a situation are. Instead, what we get is a useful
5 result that could be used in decision making.

6 EPA's risk assessments are biased
7 towards over estimates of risk. They tend to be
8 protective. And as such, we have a very high level of
9 confidence that the risks are not understated. That,
10 if anything, they're overstated.

11 Okay, that was my little
12 introduction. Now, we're going to move along to the
13 parts of the risk assessment. Hazardous substances in
14 the environment. Well, these occur naturally. There
15 is arsenic naturally occurring in New Hampshire, in
16 Nevada.

17 There are widespread human
18 activities that produce contamination. Anybody seen
19 Atlanta on a hot day in the summer in the afternoon,
20 and the brown stuff that hangs over the city? That is
21 from automobiles.

22 Now, we are not as concerned in the
23 program, in the Superfund program that I work in, with

1 these two -- first two bullets here, the natural
2 occurrence and the widespread human activities. What
3 we are concerned with, there are site-specific human
4 activities that create a waste stream in the local
5 environment.

6 You've got a metal plating shop.
7 We're on a military base, so we have metal plating
8 shops, we have fire training areas, there was -- we
9 had a chem warfare school here. These are the sorts
10 of activities that we would think about, as far as
11 identifying hazardous substances in the Superfund
12 Program.

13 Hazard identification. We got to
14 come up with a list of chemicals, when we're thinking
15 about the risk assessment. And we start with a hit
16 list. These are all the chemicals that we detected at
17 that site. And then we compare these to risk-based
18 screening levels.

19 You'll have a -- you'll get a flavor
20 of how these are calculated in a couple of minutes.
21 And for example, the site-specific screening levels
22 that have been developed for use at Fort McClellan are
23 risk-based screening levels.

1 We do a comparison to background
2 concentrations for pure organic chemicals, in other
3 words, naturally occurring chemicals, and for these
4 common chemicals produced by man's widespread
5 activities. Automobile exhaust would be an example of
6 that.

7 We also look at aspects such as
8 frequency of detection. If we only detect the
9 chemical once out of a hundred samples in the same
10 environmental, media, soil, or water, you might say,
11 gee, is it really there.

12 We also look at comparison to
13 blanks. Example, you carry some blanks along. You
14 have sample jars that are filled up with the sample
15 medium and the medium in which you might be collecting
16 samples, you carry them along. You never open them.
17 You send them off to the lab. If the blanks are
18 contaminated with this particular chemicals, what that
19 indicates is that your behavior, or your behavior as a
20 sampler, introduced contamination into that blank that
21 could cause the other samples that get that same
22 chemical to be suspect. And you want to have another
23 look at that.

1 So, we think about that, too, in
2 developing this list of chemicals and potential --
3 that, I just finished talking about hazard
4 identification. Now, I'm moving along to exposure.

5 Exposure, we're going to define as
6 contact of an organism with a chemical or physical
7 agent. And its degree of this exposure is the amount
8 of the chemical or agent that's available at the
9 body's exchange boundaries. Exchange boundaries are
10 -- those are big words -- your skin, the inside of
11 your digestive tract, if you get it in your mouth and
12 swallow it, or your lungs, if you happen to breathe
13 it. There's only three.

14 Now, for the exposure assessment, we
15 want to try to figure out or come up with an estimate
16 of just how much contact there was with these
17 chemicals by the three routes. In other words,
18 inhalation, ingestion, and dermal contact.

19 Little example of some of these
20 exposure pathways in action. Here is a hypothetical
21 site with some hypothetical drums that have been
22 hypothetically turned over and here's a hypothetical
23 receptor that's coming into contact with it.

1 And now, this receptor over here is
2 going to contact the soil, probably get some of the
3 soil in his mouth, probably get some on his skin. If
4 there's a little bit of dust, he might breathe that.
5 Those are the ways that he comes in contact with it.

6 Then it rains and these chemicals
7 are carried by rain water down to the groundwater, and
8 this other receptor right here in a house -- it's kind
9 of a small house, but there it is -- uses this
10 groundwater for domestic uses. He drinks it and takes
11 showers with it, etcetera. And so, this receptor here
12 comes in contact with a chemical by means of water.

13 Here is another receptor, some
14 distance away. And the wind comes up and carries this
15 chemical away as dust. He breathes the dust. So, he
16 comes in contact with it by inhalation, through the
17 lungs.

18 So, again, this is not -- this is
19 not the complete picture. There's also contamination
20 of fish (inaudible) --

21 THE COURT REPORTER: I'm sorry.
22 Contamination of fish --

23 MR. TED SIMON: Fish, people eating

1 the fish.

2 Anyway, land-use scenarios, this is
3 key in thinking about these risk assessments. We have
4 a residential scenario; this is the most protective,
5 most restrictive scenario. We decide if there is --
6 the risk in a residential scenario, in the risk
7 assessment, using a residential scenario. If that
8 risk is acceptable, then all of the -- the risks in
9 all of the other scenarios will also be acceptable.

10 If there's an industrial, commercial
11 -- we're concerned about really two people there, the
12 adult worker, and then for some specific chemicals --
13 and I'm thinking of lead -- the female worker of
14 child-bearing age. Women of child-bearing age -- not
15 necessarily pregnant women, but of child-bearing age
16 -- if they contact enough lead, will store it in their
17 bones, and then when they do become pregnant, it will
18 be mobilized in their bones and possibly affect the
19 fetus.

20 The trespasser -- now, that's
21 generally a youth, seven to sixteen. And sometimes
22 this scenario is blended with this recreational
23 scenario.

1 Now, we also think about the
2 recreational scenario, but it's important to say what
3 this really means. Now, there are site-specific
4 recreational activities. Are we going to take this
5 land and build youth sports fields? Are we going to
6 make it passive recreation, just leave it as woods,
7 where we might get an occasional hiker or camper? Are
8 we going to make it as a suburban-type park out of it,
9 with a lot of activity there, people walking their
10 dogs? All of these will involve different levels of
11 contact of these receptors with any contamination in
12 the media.

13 So, it's important to really decide
14 what's going to happen at the site and to design, for
15 any recreational scenario, to figure out what -- just
16 how much exposure there is.

17 So, for -- one of the things in the
18 risk assessment is the concentration of it. What
19 concentration of chemical does this receptor come in
20 contact with? We want to think that he contacts this
21 contaminated medium at random and over the long term.

22 So, we want to think about the size
23 of the area that a receptor comes in contact with. In

1 other words, a six-year-old child is probably not
2 going to wonder over forty acres. So, we would think
3 of a residential lot as the appropriate size.

4 Whereas a maintenance or a landscape
5 worker at a large industrial facility might indeed
6 wander over forty acres -- wonder is really the wrong
7 term -- but work in the confines of the forty acres,
8 the entire facility over a period of twenty or
9 twenty-five years. So, that forty acres might be
10 appropriate for that landscape worker, but not
11 appropriate for a residential child.

12 We also want to think about the time
13 scale of the toxic threat. Some chemicals act very
14 quickly. For example, nitrate in drinking water, if
15 you take water with high levels of nitrate in it, make
16 infant formula with it, you can kill the child,
17 because you interfere with the oxygen carrying
18 capacity of the blood with nitrate. So, we would be
19 very concerned about this. This is a very short-term
20 effect.

21 That chemical is an exception. Most
22 of the chemicals we think about in the Superfund
23 Program have effects over the long term, chronic

1 effects. And over the time scale of this effect, we
2 want to think about the average concentration
3 encountered by the receptor. And we want to come up
4 with some estimate of that average concentration that
5 is a protective estimate. And EPA has spent many
6 years out in statistical hyperspace trying to come up
7 with an expression of this average concentration. But
8 we're not going to go into those details tonight.

9 Okay. I'm moving -- I'm finished
10 talking about exposure, and now I'm going to talk
11 about toxicity. It's important to remember -- and
12 this came about a long time ago, that this gentleman
13 made that statement -- that all substances are
14 poisonous, there is nothing that is not a poison, and
15 it's the dose that determines whether something will
16 be harmful or not.

17 Water, for example, if I got dropped
18 into the middle of Lake Logan Martin and drowned, you
19 could say that water was toxic. Now, I think most of
20 us went and got a bottle of water over there, and
21 we're enjoying drinking it now, and I'm going to need
22 some after I finish talking, to water down my throat.
23 So, in the right dose water is good for us, but too

1 much of it is not a good thing. That's the point.

2 Okay. Very, very brief look at the
3 toxicity assessment. There are a couple of types of
4 chemicals that we think about; carcinogens, chemicals
5 that cause cancer; noncarcinogens, things that cause
6 adverse health effects other than cancer.

7 Where do we get this information?
8 We look at lab animal studies, and we look, when we
9 have the information -- which is really most times a
10 misfortune -- at human epidemiologic studies.

11 I finished talking about the
12 toxicity assessment. Now, I'm moving along to risk
13 characterization.

14 We end up with a quantitative risk
15 characterization. I say, "quantitative," because we
16 end up with numbers here for exposure and toxicity. I
17 didn't deal with those numbers tonight, but this is an
18 introduction.

19 And we combine these quantitative
20 estimates of exposure and toxicity, along with
21 thinking about the uncertainties, to a quantitative
22 and qualitative expression of risk.

23 That is essentially the end of our

1 risk assessment. And that is the result that we hand
2 to the decision makers. Now, it's possible to do this
3 in sort of a prehop or predetermined way. We can
4 develop these -- some site-specific screening levels.
5 And if some of you have heard about the region three
6 risk based concentration table or the region nine
7 preliminary remediation goal table, these are in fact
8 these risk-based screening levels.

9 And these can be done in your
10 generic senses, as those tables that I just mentioned,
11 or in a specific sense, like the site-specific
12 screening levels that have been developed here at
13 Fort McClellan.

14 And so, the risk comparison can
15 easily be a comparison with chemical concentrations in
16 environmental media with these site-specific screening
17 levels or for that matter generic screening levels.

18 What are some of the uncertainties
19 in risk assessment? On the toxicity side, we use lab
20 animals for the studies. We've got to extrapolate
21 those results to apply to humans. That's a big area
22 of uncertainty.

23 We give the laboratory animals, when

1 we use them, a very high dose, because we want to see
2 an effect. Then we have to extrapolate down to low
3 doses in humans. The effect -- you know we -- we know
4 that humans will probably be affected by high doses,
5 but that's not the area or the part of the dose that
6 we want to protect against. So, we've got to go down
7 to low doses.

8 Now, if we use epidemiologic
9 studies, we remove the uncertainty of going from
10 animals to humans. But the difficulty with
11 epidemiologic studies is that we don't know what the
12 dose is; the studies are not controlled.

13 In terms of exposure, one of the
14 huge uncertainties is future land use. Given that
15 land use, will it change, and what are the future
16 exposure scenarios?

17 Now, we assume that receptors have
18 particular patterns of behavior. They move at random
19 throughout the area in which they're exposed. Well,
20 is that really true? That's a debate frankly, that's
21 ongoing within EPA right. But I just mentioned it as
22 another source of uncertainty.

23 How does EPA deal with these? We

1 use protective assumptions for all of these, for the
2 toxicity assessment and for the exposure assessment to
3 make sure that we overstate the risk. So, we bias the
4 risk assessment towards -- in a protective manner.

5 So, I guess the short answer to this
6 question -- why they're protective -- we use -- as far
7 as exposure goes -- and I just sort of stole my
8 thunder on this. We use this reasonable maximum
9 exposure. We create a hypothetical individual who is
10 exposed at a level that is within the range of
11 possible exposures, but still high up within this
12 range of possible exposures. And we use this
13 hypothetical individual -- he's called the RME
14 individual -- on which to base decisions, on which to
15 base the outcome of our risk assessment.

16 Now, the toxicity values are
17 determined based on the most sensitive individual. In
18 fact, if we -- when we extrapolate from animals to
19 humans, we try to attempt to deal with the uncertainty
20 of going from animals to humans, and we say, well,
21 this doesn't represent all humans. We've got to be
22 more protective to account for the more sensitive
23 humans. So -- and if we don't have a lot of data,

1 we're even more protective still in the toxicity
2 assessment.

3 So, all of these uncertainties are
4 considered by EPA with a bias towards those who are
5 potentially exposed. So, our mandate in the Superfund
6 program is to protect human health and the
7 environment. And that's why we cant the risk
8 assessment, we bias the risk assessment towards -- in
9 a protective way.

10 And let me stop there. And is it
11 appropriate to take questions now?

12 MR. DOYLE BRITTAIN: Any questions?

13 DR. BARRY COX: When you say, "the
14 most sensitive individual," you mean an individual
15 that may have some medical ailments or do you mean --
16 define, "most sensitive individual."

17 MR. TED SIMON: Well, you really
18 asked the sixty-four dollar question. There is a lot
19 of language about this. Oh, yeah, we're protecting
20 sensitive sub-populations, the children and the
21 elderly.

22 Well, are they really sensitive? A
23 lot of people go ahead and say, yeah, children and the

1 elderly are more sensitive. I don't necessarily share
2 that view. Children may indeed be more sensitive, and
3 I don't dispute that, but to say so without much basis
4 I don't think is really all that appropriate.

5 If you can find someone with a
6 particular, say a medical condition -- I'm just going
7 to pull something out of the air -- diabetes or what's
8 the one --

9 MS. DONNA FATHKE: Asthma --

10 MR. TED SIMON: Guill-Barre's
11 (phonetic) Disease where you can't glucuronidase
12 substances and pass them out of your body. So, toxins
13 stay in your body longer. That might be a sensitive
14 sub-population that is truly defined as such. Does
15 that make sense?

16 DR. BARRY COX: Would you use those
17 as your baseline or do you use something of a higher
18 -- a lower standard?

19 MR. TED SIMON: It's more -- it's
20 looser than what. What they do is they take these --
21 they take a value from an animal study that is without
22 effect in the animals, they call it a NOAEL, no
23 adverse -- no observed adverse effect level. In other

1 words, they haven't dosed -- they have a variety of
2 doses they give to the animals, the one at which is no
3 effect. The highest one there is no effect.

4 They divide that by ten to go to
5 humans. Then they divide it by ten again to go to the
6 so-called sensitive humans.

7 You see why that is scientifically
8 very unpalatable? Does that answer your question?
9 Anything else?

10 DR. BARRY COX: In one of the slides
11 you used the term, "safe." How do you define, "safe"?

12 MR. TED SIMON: Another good
13 question. And that's a regulatory answer to that.
14 EPA has defined the risk range for cancer risks and
15 acceptable risk from a probability -- cancer
16 probabilities of one in a million to one in ten
17 thousand.

18 And let me just compare that to the
19 frequency -- that's a little bit different than the
20 probability -- the frequency of cancer from all causes
21 in the United States between one in three and one in
22 four. So, we are -- in terms of that -- that overall
23 cancer frequency in the United States, these Superfund

1 regulatory levels are extremely protective.

2 Now, for noncarcinogens, chemicals
3 that don't cause cancer, the regulatory threshold is a
4 hazard index of one, which means we're going to look
5 and see -- we're going to come up with our estimate of
6 the threshold, and if we have any dosage that we
7 calculate in the risk assessment that exceed that
8 threshold, we are going to consider those to be
9 requiring a site cleanup, or at least a consideration
10 of a site cleanup. Does that answer your question?

11 MS. DONNA FATHKE: There seems to be
12 an awful lot of subjectivity in setting these levels.
13 And due to the fact that we're scientifically not
14 there, yet, you would have to do some amount of
15 guessing, but it would seem to me that that amount of
16 new -- you just mentioned dividing by ten and dividing
17 by ten again, was that an example or was that a hard
18 and fast rule?

19 MR. TED SIMON: Well, let me --
20 yeah, I can talk about it. Would you like me to talk
21 about that some?

22 MS. DONNA FATHKE: I asked you,
23 didn't I?

1 MR. TED SIMON: What we did a few
2 years ago -- I mean, it's changing, it's changing.
3 And people are trying to do better science.

4 MS. DONNA FATHKE: Uh-huh.

5 MR. TED SIMON: Okay. This is
6 exactly what we would do: We'd go out and get a value
7 in animals, in an animal study with the no observed
8 adverse effect level, divide it by ten to go to
9 humans, divide it by ten again to go to sensitive
10 humans, divide it by ten again, because there were
11 database insufficiencies, we didn't have a three
12 generation study, and divide it by three just to be
13 extra careful.

14 So, what is that? That's three
15 thousand?

16 MS. DONNA FATHKE: Yeah.

17 MR. TED SIMON: So, we divided that
18 by three thousand, and we assume that's the threshold
19 in humans. Now, people are getting smarter about
20 this. When there is data, they're using it.

21 Let me give you an example. There's
22 methylmercury. You know what, Methylmercury, it's in
23 fish. Okay. When we have a lot of -- there is a

1 global reservoir of mercury in the atmosphere, and it
2 sort of passes in and out of bodies of water. It's
3 methylated by bacteria. And methylmercury is picked
4 up by other biological systems, like fish.

5 Now, there have been three -- if
6 somebody wants to help me out with this, my memory is
7 failing -- I think three large studies of the effect
8 of mercury on neuro-developmental effects in children.
9 One was in the Seychelles Island in the Indian Ocean,
10 one was in the Faroes Island in the North Atlantic,
11 and one was in New Zealand.

12 Now, the -- let's go where I know,
13 rather than what I don't know. The Seychelles Island,
14 it's a thousand miles from any industrial source. So,
15 the only mercury they have is the stuff that comes out
16 of this global reservoir in the atmosphere. Gets into
17 the fish. People there eat fish twice a day, seven
18 days a week. They eat a lot of fish.

19 When they did the -- I mean, they
20 followed these kids for -- these children were born.
21 Their mothers had eaten the mercury in the fish. Then
22 they followed them up through age six, and they did
23 batteries of neuro-developmental tests, which were

1 essentially negative.

2 And some smart guys at ICF Kieser
3 (phonetic) went ahead and did a model, a physiological
4 model of the passage of the methylmercury from the
5 mother to developing fetus, and then possible effects
6 on the fetus.

7 So, they came up with numbers and
8 tried to get -- tried to get -- come up with a level
9 that would be protective without using these very
10 scientific unpalatable -- what they call uncertain
11 factors, that's ten divided by ten -- let me just
12 interrupt myself.

13 A few years ago at a meeting there
14 was a fellow who got up and said, I'm Zorg from the
15 planet Krypton, I think the uncertainty factor should
16 be six. The point is that people are trying -- and
17 that assessment, that toxicity assessment for
18 methylmercury was criticized roundly by EPA, who then
19 went ahead and did exactly the same thing with the
20 study from New Zealand and came up with a number that
21 is very similar to the referenced dosage used -- that
22 was used previously that was done with the factors of
23 ten.

1 So, you know, to some extent, is it
2 a better system? Yes, because there's more scientific
3 basis. But will it really make a difference? Well,
4 no, not for that particular chemical.

5 But I'm sure you've seen the list of
6 chemicals. It's as long as both of my arms. I mean,
7 then somebody goes, when there's enough time and money
8 to go through this for all of the chemicals, we'll
9 have that answer, but for the moment, there's not the
10 resources to do that assessment, we divide by ten.

11 Does that sort of begin to answer
12 your question?

13 MS. DONNA FATHKE: Yeah, it does.

14 MR. TED SIMON: Anyone else?

15 MR. DOYLE BRITTAIN: Thank you, Ted.

16 MR. TED SIMON: I'm going to pass
17 the mouse, which gave me no problems, by the way, on
18 to Rob Zimmer.

19 MR. RON LEVY: I do want to mention,
20 Rob, sitting next to Rob Zimmer over there is
21 Paul Goetchius. He introduced himself. But he is
22 Ted's counterpart for Shaw Environmental and
23 Infrastructure. And he's been working with

1 Fort McClellan, I want to say -- five years?

2 MR. PAUL GOETCHIUS: I wrote the
3 first work plan. Was that '96, '97, somewhere in
4 there?

5 MR. RON LEVY: Yeah. Paul, besides
6 Fort McClellan, talks directly with Ted all the time
7 over the work that we're doing out here and the
8 reviews that go on as a result of that. So, you know,
9 there is a relationship. There's lots of discussion
10 going on.

11 The next person up is Rob Zimmer.
12 Rob's the senior ecological risk assessor -- did I get
13 that right --

14 MR. ROB ZIMMER: Uh-huh.

15 MR. RON LEVY: -- for Shaw. And
16 he's going to talk to you about the ecological risk
17 process that is used. Rob has also been with us for
18 about the same amount of time, he's been working the
19 Fort McClellan site.

20 MR. ROB ZIMMER: Thanks, Ron. Let
21 me see if I can get this right. Let me again --

22 MS. DONNA FATHKE: No, wait. Is
23 that going to cause me brain cancer? You're pointing

1 it at my head.

2 MR. ROB ZIMMER: It may cause me
3 brain cancer as it comes up through my head. Did I
4 get the message?

5 MR. GLYNN RYAN: It's over.

6 MR. CRAIG BRANCHFIELD: That was
7 quick.

8 MR. ROB ZIMMER: This is going to
9 put me behind a little bit, but let me just echo a
10 little bit of what Ted's talking about here, as far as
11 defining risk assessment. And really, what we really
12 want to reinforce this evening is the fact that risk
13 assessment is evaluating the likelihood that an
14 adverse effect can or will take place with some
15 receptor.

16 Now, Paul and Ted and the human
17 health side of things, they're focused on a single
18 species, obviously, the human. Well, the eco side of
19 the house, we're looking at many, many species, many
20 different animals and plants. And we really look at
21 -- and I want to reinforce this right here -- the fact
22 this it's present and also potential future
23 occurrences. What is the likelihood, if a constituent

1 is transported in from one type of system into another
2 system or from one habitat into another habitat? So,
3 it's not only present, but also future occurrences, as
4 well.

5 Now, very simply, as far as
6 complexities are concerned, yeah, Ted correctly and
7 appropriately articulated that different life ages or
8 stages could be -- one could be more sensitive than
9 another. That's also true on the ecology side, that's
10 also appropriate; the younger the year may be more
11 sensitive than the older ones.

12 But really, we're dealing with just
13 so many species at a given site. Now, you can say
14 probably hundreds of species here, around this large
15 area of Fort McClellan. And I would venture to say
16 literally thousands, if you took the bug community and
17 the microbial community into play.

18 So, we're dealing -- that's one of
19 the contributions to the uncertainty, is the fact that
20 there is so many animals and plants that we have to
21 deal with and they all have different metabolic
22 activities and rates and they all have -- do different
23 things and perform differently.

1 We also have to address the fact
2 that most of these critters can't read the no
3 trespassing signs. And so, really, we're not bound
4 within a given area. So, we really have to address
5 exposure that -- Ted did a very nice job explaining to
6 you what exposure is. There's no hazard, unless
7 exposure takes place. Well, that's true on the eco
8 side, as well.

9 However, we've got to look at
10 exposure over vast areas for some receptors. Other
11 ecological receptors, their area is very, very small.
12 Others are very -- like the red tail hawk could be
13 very large. So, we have to address all of that.

14 And finally, we refer to this, to
15 the surface water sediment, this is our official
16 soils, as the non-living abiotic part of an ecosystem.
17 The whole living part, on the other hand, what is that
18 interaction there? That is key.

19 A constituent present within surface
20 soil, is it a real hazard or a concern? Maybe, maybe
21 not. If it's not available for uptake by the biotic
22 community, the living community, then we go right back
23 to what Ted's talking about, we say it's really not a

1 hazard, not a high risk, at all, because it can't be
2 taken up. If it's not taken up, then it's not a
3 serious issue.

4 Is this the next slide? Okay. This
5 is -- not to worry here. I know it's getting late in
6 the evening. This is a classic, what we refer to as
7 the eight-step EPA process for conducting ecological
8 risk assessments. I'm not going to go into detail
9 here, except we conduct these around the country.

10 And the point is, if you drew a line
11 right here, across the board, these first two steps
12 that we've highlighted make up the SLERA, screening
13 level ecological risk assessment. You'll see that
14 term over and over again, screening level ecological
15 risk assessment.

16 Why would we just do a screening
17 level up front? Well, we can't go out there and dig
18 up all kinds of things and look for all kinds of
19 critters and what's in them, what's that. We really
20 want to focus this thing down in those areas where we
21 have concern.

22 We have many sites around the
23 country where the whole process ends right there at

1 the screening level. These points right here. This
2 is a cut and paste right out of the EPA guidance
3 document. This is why we wanted to show this to you.

4 We are risk assessors, Ted, myself,
5 Paul, others in the room here are assessors. We don't
6 make the decisions. There is a risk management team
7 in this room and elsewhere that makes the decision.

8 We bring this information over here.
9 That's SMDP, scientific management decision point.
10 And a decision is made as to whether the risk has been
11 properly characterized on this superficial screening
12 level or not? Is it acceptable or not?

13 If there are more questions, then it
14 proceeds on into a more detailed baseline level where
15 we may be collecting samples in the field, we may be
16 collecting samples of a media such as surface soil or
17 sediment water, taking it back to our laboratory and
18 conducting laboratory-based tests.

19 If you get nothing more -- I believe
20 we have hard copy handouts here -- if you get nothing
21 more tonight, you want to put a star on this slide
22 right here. These are the three basic questions that
23 must be addressed in every ecological risk assessment,

1 regardless of the level of detail that the assessors
2 go into.

3 Number one, very simple; are
4 site-related contaminants present within the media?
5 Okay. Are they detectable? Are they present or not?
6 I'd say the answer is, yes, at the given site.

7 If it's yes, the next question: If
8 they're present, are these concentrations sufficiently
9 elevated to potentially impair survival? Ted
10 mentioned chronic lethality. Now, we're talking
11 lethality there. Then he mentioned chronic,
12 sublethal, longer term potential effects on growth or
13 reproduction. Is that serious to an ecological
14 community? Yes, absolutely, because we could see a
15 population decline over time if that gross measurement
16 was missed, we weren't addressing that point.

17 Where would we get this information?
18 At this level, screening level, we're going to get it
19 from tables. It's a desk-top exercise.

20 The final question: If they're
21 present and if -- are their receptors present? Now,
22 we're characterizing the ecosystem, itself. Are
23 potential receptors sufficiently exposed? They may be

1 present. They may be present in elevated levels.

2 The second question is: Are they
3 tightly bound within the sediments of a stream or
4 within soils or perhaps deep in the soil? We get
5 questions all the time about groundwater, deep
6 groundwater. And we say, well, that's not an exposure
7 point for our ecological receptors. When that
8 groundwater percolates out of the surface-water body,
9 that's an exposure point and that's where we get to
10 the point where we address it.

11 So, there are the three questions
12 that really would be helpful to understand those.

13 Screening level eco risk assessment.
14 We have to look at the environmental setting, which
15 varies, even in a large area like this. It's going to
16 differ every place you go. It could be that parking
17 lot out there or could be a very diverse and highly
18 productive forested or wetland area, whatever. So,
19 that's very important to us.

20 The types of detected chemicals,
21 extremely important as to how we're going to focus
22 this risk assessment. Some compounds may tend to
23 biomagnify up through the food chain. We've all read

1 about those types of chemicals.

2 Is that a concern? Absolutely. Now
3 we're going to focus not only on these critters down
4 here, but we're very concerned about the top
5 carnivores, the hawks and species like that, if
6 compounds tend to biomagnify.

7 Inorganic metals, for example, Ted
8 mentioned methyl, which was an organic form of
9 mercury. But inorganic metals tend not to biomagnify
10 up the food chain. So, our focus is in a different
11 area for that type of constituent.

12 Eco-toxicity, a fancy term for
13 basically toxic responses of ecology or ecological
14 receptors, animals, plants, that sort of thing. The
15 exposure pathways are extremely important.

16 Now, I'm going to touch on risk
17 estimation and identification of constituents of
18 potential ecological concern. Your slides have COPC,
19 constituents of potential concern. The only
20 difference is this is constituents of potential
21 ecological concern, COPEC.

22 At the screening level -- this is a
23 very important concept to understand, it's a very,

1 very simple concept -- but Ted alluded to the fact
2 that if you're going to error on the screening level,
3 you better error on the safe side.

4 So, inherent in this process are
5 very conservative numbers. And look at this
6 denominator, ecological screening value. That is not
7 species specific, at this point. It is a generic
8 number that is media specific. There's one for
9 surface water, one for sediment, one for soil. That
10 number is extremely conservative. That is the
11 denominator.

12 All we do is take the -- what our
13 geologists, field people, and chemists are giving us
14 as to what concentrations were found in the non-living
15 media. We look at surface water, soil, and sediment.

16 And we generally take our highest
17 concentration found. We may have a hundred samples.
18 And ninety-nine of those samples are well below this
19 value, but maybe one's higher. Well, you know what,
20 that's going to result in a hazard quotient that is
21 kind of elevated. So, we have a hazard quotient that
22 is greater than one, which means that a risk
23 management decision is going to be made, and we can go

1 forward with this process or not go forward with it.

2 If the decision right here by this
3 team is made, and after the screening activities, the
4 risk is unclear, then we move into BERA, baseline
5 ecological risk assessment.

6 Now, you see a problem formulation
7 here. You've seen it up here. What's the difference?
8 The difference is the level of complexity that we get
9 into.

10 Now, it's even more important to us
11 that we look at lead or at copper or at some other
12 compound and we write and characterize, based on
13 literature reviews, what kind of characteristics those
14 constituents have, because that's going to drive this
15 entire process, including the development of
16 assessment endpoints. The types of constituents that
17 are of potential ecological concern will drive the
18 rest of the process here.

19 Again, to reiterate, this is an
20 eight-step process. Some sites you're going to stop
21 right here because you're not seeing -- even at the
22 conservative level, you're really not seeing real
23 great risk potentials. There is no such thing as zero

1 risk, but it's negligible risk that the risk managers
2 may be willing to accept.

3 It they're not, we move forward
4 here. In a baseline ecological risk assessment, as
5 opposed to the screening level, the problem
6 formulation, as I said, is more detailed. We have
7 more detailed toxicity profiles, a fancy term for
8 saying, we want to know exactly the mode of toxicity
9 of a specific metal or a specific organic.

10 Where does it accumulate? Is it
11 lipophilic or does it accumulate rapidly in fatty
12 tissues? That's an important issue for us. It
13 probably then would magnify up through a food chain.

14 We look at fate and transport
15 mechanisms, very important. Given the range of these
16 organisms and the varying habitats that we're dealing
17 with at all of these large sites.

18 What eco systems are at risk? And
19 this key here, assessment end points, we can't
20 reinforce this enough, because poor assessment end
21 points, the whole process will fall apart. Assessment
22 end points are basically, what is it in that ecosystem
23 that is of value that we want to protect? We'll have

1 multiple assessment end points.

2 THE COURT REPORTER: I'm sorry. I
3 didn't hear that last sentence. What is it that we
4 want to protect?

5 MR. ROB ZIMMER: We have multiple
6 assessment end points. They are measurable values to
7 be protected within an ecosystem. We review many eco
8 risk assessments around the country, and we find that
9 a big flaw here is not measurable, then it's a useless
10 assessment end point. And that's key, it must be
11 measurable, because we may be in a laboratory setting,
12 we may be in the field collecting samples, but we've
13 got to be able to measure that assessment end point.

14 Exposure and effects modeling that
15 I'm going to touch on very shortly here. I'll get to
16 them very quickly. That, too, is something that is
17 literature based. And basically what happens is:
18 Remember, we've gone away from the generics, and now
19 we look out there and we say, well, in a terrestrial,
20 old field habitat, you know, what are the types of
21 receptors that you'd expect to find? Maybe it's the
22 white footed mouse? I say white-footed mouse because
23 there is a wealth of information, thanks to EPA and

1 others, other researchers, on the white-footed mouse,
2 its weight, its -- the way it feeds, how much water it
3 takes in per day, how much soil -- incidental
4 ingestion of soil, what kind of leaf litter and all
5 that sort of -- and potentially even bugs that it
6 indigests in a day.

7 We know those rates. And therefore,
8 that is a good one that we might select as a surrogate
9 receptor in this kind of effects modeling.

10 But do you understand the
11 difference? Now, we're looking at specific, potential
12 ecological surrogate receptors. We're getting away
13 from the generics now.

14 I mentioned abiotic, the non-living
15 soils and sediments. Somebody could say I've got five
16 hundred parts per billion of something in a soil or a
17 sediment, and we'd say, well, how bioavailable is
18 that? Is it tightly bound? Is it forty feet under?
19 How bioavailable is that constituent? And we have to
20 assess that.

21 And again, these two here, we don't
22 have time tonight to get into them. We could spend
23 days discussing them. Direct field biomeasurements.

1 Perhaps it's a collection of earthworms in a
2 terrestrial setting and analyzing the tissues of those
3 earthworms to determine what kind of concentration of
4 our constituents of potential concern are present.
5 And maybe it's a laboratory based bioassays, such as
6 the fat-head minnow freshwater test, where you're
7 looking at a ninety-six hour or a seven-day chronic
8 window, and you're looking at potential effects from
9 that.

10 Don't black out on me here. Let me
11 just mention that -- don't worry about this. All we
12 wanted to explain to you is with this model -- will
13 this back up if I hit the right side?

14 UNIDENTIFIED MALE: Yes, it will.

15 MR. ROB ZIMMER: This model right
16 here is similar or akin to this. You have to
17 understand, as Ted did a very nice job explaining
18 dose. Dose, you need to look at, and body weight. We
19 can take the minimum body weight -- and we generally
20 do that first -- off all these little old receptor
21 critters, including maybe it's a red-tailed hawk,
22 maybe it's that white-footed mouse, maybe it's several
23 other things, maybe it's the fox.

1 I picked these because they're
2 generally used around the country. And if they have a
3 potential to be present at your site, they're
4 generally used. Why? Because we have a wealth of
5 information on the mean and the maximum and the
6 minimum body weights of those types of critters. We
7 also know how much water they ingest each day and how
8 much food they ingest and how much incidental soils
9 they may ingest.

10 We plug all this into the model.
11 And remember, we are also plugging in the
12 concentration of that constituent of potential
13 ecological concern. If there's five of them, we do
14 this five times. And we may plug in for mercury or
15 for lead or whatever it is, we'll plug it in, what's
16 the maximum concentration we found in our soils at
17 various places around. And we're basically driving
18 this model.

19 Ted introduced a concept that we all
20 use in this field. It's called NOAELs. No observable
21 adverse effect levels. You may also see adverse
22 effect concentrations, but levels is the appropriate
23 one we generally use around these woods in this part

1 of country for certain things.

2 Now, the important thing is, we will
3 have a no observable adverse effect level for that
4 surrogate. It's in the literature, and we can just
5 make the comparison from there.

6 Sorry about that slide. Let's just
7 move it on before everybody is asleep in here.

8 MR. SCOTT BECKETT: (Inaudible).

9 MR. ROB ZIMMER: Did you? Thank you
10 very much. I can go back to it, if you want.

11 MR. SCOTT BECKETT: That's all
12 right.

13 MR. ROB ZIMMER: Here we are,
14 continuing on here with the scientific management
15 decision points. And we've got a study design.

16 We don't do this in a vacuum. We
17 wouldn't dare do it in a vacuum. We've made that
18 mistake in other sites, in other parts of the country
19 years ago. Because your best study design, you want
20 everyone including the risk managers to say, yeah, if
21 you do it the way you've designed it there, and the
22 data quality objectives are in place, we will get
23 concrete information to make our risk management

1 decision at the end of this.

2 And for time sake, we highlighted
3 all of these. We moved forward into verification,
4 sampling design.

5 We want to be careful. This is not
6 a trivial thing. It's expensive. There is a lot to
7 be done. And we want to make sure that when we come
8 up with our results, we can properly characterize
9 risks, and that a final decision can be made.

10 This is the last slide. And it is a
11 important slide, because we have basically three
12 possibilities at the end of this process. The first
13 one being: The risk has been characterized by the
14 risk assessors. And we sit down at that table, and
15 the risk -- the managers say the risk is acceptable,
16 there's no further action.

17 Again, let me reiterate what Ted
18 said. It's not zero risk here. You've driven to this
19 meeting tonight. You were a risk manager in making
20 that decision to come here. You decided to accept
21 that risk to drive here.

22 We do the same thing for these bugs
23 and bunnies on the eco side. A decision is made to

1 accept it. It's a negligible risk, present and also
2 in the future, if the constituent changes form or is
3 moved, transported from one area to another, it's
4 acceptable.

5 Here is the other possibility. It
6 is unacceptable, the risk is too high. The risk
7 managers say, we will not accept that risk. And we've
8 developed this program in such a way where we're
9 already ready for remedial or cleanup goals.

10 Big difference between the world
11 that Paul and Ted and the human health guys are in and
12 we're in, because you'll hear remedial or cleanup
13 goals on the human health side, we're talking
14 ecological remediation and cleanup goals on the eco
15 side. So, there may be a difference those numbers.
16 That's a second possibility.

17 This is the third one here that
18 always concerns us. But if the risk is still unclear,
19 then it's possible that supplemental data or
20 information may be needed. Maybe it's from the
21 literature, maybe it's from supplemental sampling,
22 whatever it is. But our objective is to get to either
23 point here. It doesn't make much of a difference to

1 us assessors. It's either acceptable or unacceptable.
2 But we have characterized it for you risk managers.
3 You make the decision and go from there.

4 Guys, I appreciate your attention
5 and be glad to entertain whatever questions you may
6 have.

7 MR. SCOTT BECKETT: I'm a little
8 unclear on the assessment end points. What would be
9 the difference between a measurable and nonmeasurable
10 assessment end point?

11 MR. ROB ZIMMER: Okay. Great
12 question. Let me repeat it for everybody to make sure
13 you hear it. The difference between an assessment end
14 point and a measurement end point -- in these reports,
15 you'll see a table frequently which lists the
16 assessment end points and the measurement end points.
17 And let me give you an example of an assessment end
18 point. It could be protection of omnivorous avian or
19 bird life in a terrestrial environment.

20 That's an assessment end point. Is
21 it measurable? Well, we're not going to go out and
22 shoot, say American robins or capture them or anything
23 and look at that. But we may look at the measurement

1 end point, maybe the tissue concentrations in their
2 food, maybe the earthworm. Okay?

3 And looking at modeling the uptake
4 of that -- when I say concentrations of the
5 constituents of potential concern. And we look at
6 that ingestion. And then we look, with the tables
7 that we have, for these NOAELs, and we look to see
8 whether there's an adverse effect.

9 Now, that's an over-simplified --
10 the difference is: We want to protect that resource
11 because we've identified it invaluable, and secondly,
12 we can measure it by using alternative type species or
13 its food or that sort of thing.

14 And in an aquatic environment, maybe
15 it's actually protection of benthic invertebrates, the
16 bottom bugs and those types of things. And that's our
17 assessment end point. Perhaps it's the protection of
18 benthic invertebrates.

19 How do we measure that? We may go
20 out and do a stream survey to see how healthy that --
21 the benthic community is. That's the measurement end
22 point.

23 With threatened, endangered species,

1 we would not be out there collecting threatened and
2 endangered species. We would use surrogates for
3 those.

4 And that's our measurement end
5 point. It could be -- an assessment end point, could
6 be protection of such and such threatened species.
7 That's a good assessment end point. Our measurement
8 end point is not collection of that. It's a
9 collection of some surrogate, which is a suitable
10 representative of it, so we wouldn't be hurting it.

11 And that's a very good question.

12 Yes, sir.

13 MAYOR WILLIAM KIMBROUGH: When
14 there's a conflict between acceptable and
15 unacceptable, what process is there? Where it's
16 statistical data, research or something where there's
17 a conflict.

18 MR. ROB ZIMMER: The question is:
19 What happens when there is a conflict between
20 acceptable and unacceptable. And I will be honest,
21 that's a risk management call. Or unless the risk
22 managers say, you all have to better clarify that,
23 because we're having a conflict here. We say, okay,

1 we can collect more of this, we may collect more of
2 that or whatever.

3 But if there is a conflict and
4 disagreement here, okay, because the characterization
5 was made, the presentation was made, if there's a
6 disagreement there, that is -- a risk manager is going
7 to have to answer that or make that call. Unless it's
8 clouded, and we haven't made it clear. And then we'll
9 have to go out and do supplemental work. Yes, sir.

10 MR. SCOTT BECKETT: I got a
11 question. And this -- I guess this may be for Ted and
12 you. We've got two separate handouts, one for human
13 risk and one for environmental risk. And the
14 implication is that those are separate?

15 MR. ROB ZIMMER: Let me first take a
16 stab. My -- the heading on mine, environmental risk
17 assessment, first of all, an environmental risk
18 assessment -- I think you had this in one of your
19 slides, Ted -- correctly is human health and eco. My
20 title slide should probably read ecological risk
21 assessment. Now, if that's confusing you -- is that
22 the way you see it?

23 MR. TED SIMON: I think that's what

1 I said.

2 MR. ROB ZIMMER: Environmental Risk
3 Assessment, I see it all the time. I see
4 environmental risk as two halves, the human health
5 side and the eco side.

6 MR. TED SIMON: The Superfund
7 regulation, the national contingency plan for
8 (inaudible) all hazardous substances has a phrase
9 that's echoed throughout it, protection of human
10 health and the environment. And the way that has been
11 interpreted is that we determine whether or not active
12 measures are needed to protect human health, using the
13 human health risk assessment. And we determine
14 whether active measures are needed to protect the
15 environment using the ecological risk assessment. And
16 the split between the two really started out with that
17 phrase from the national contingency plan.

18 MR. SCOTT BECKETT: Well, I guess
19 where I'm coming from is: We looked at the landfill
20 information, and there were two or three sites on
21 there where it came up that there was no human risk,
22 but there was an ecological risk. Indicating to me
23 that there is somehow a separation between -- somehow

1 that the environment doesn't affect the humans or in
2 some way, I am unclear of why, there is not an
3 overlapping there.

4 MR. ROB ZIMMER: Well -- and you can
5 help me out here, Ted, if you'd like to. But these
6 are two different processes that you're seeing here.
7 That's why there is two separate groups working on it.
8 And I'm going to defer to my colleague Paul Goetchius
9 here in a second.

10 But basically, a human health risk
11 assessment is done, because that's the potential risk
12 you're dealing with. And we conduct, as I've just
13 explained there, that process for an ecological
14 assessment.

15 And people say, what about humans
16 eating fish. Well, we don't concern ourselves with
17 human ingestion of fish, because we're on the other
18 side of the fence. Paul, go ahead. Do you have a
19 comment?

20 MR. PAUL GOETCHIUS: Basically, the
21 difference -- you may have a site that does not pass
22 say (inaudible) being specific about what that means,
23 the ecological risk assessment, but passes the human

1 health risk assessment. For one thing, the human
2 health risk assessment is dealing only with the human
3 as a receptor. And there are some ecological
4 receptors that are far more sensitive than humans.

5 The other thing, of course is the
6 exposure side. Humans may not be as intensely exposed
7 to say surface soil as earthworms are. So, they're
8 more likely to catch it. Does this help, at all?

9 MR. ROB ZIMMER: That's a great
10 point, Paul, The fact that many times we're seeing now
11 that the ecological receptors are more sensitive to
12 certain constituents than the human health side, and
13 exposure scenarios are different.

14 MR. SCOTT BECKETT: Okay. What -- I
15 just want to give an example of what I'm thinking
16 about. Suppose you've got an ecological stressor that
17 kills the (inaudible) --

18 THE COURT REPORTER: I'm sorry,
19 Scott. That kills what?

20 MR. SCOTT BECKETT: Suppose you have
21 something that kills the little fungus that live on
22 the tree roots that allows them to uptake water and
23 minerals -- and this is an extreme case, but what

1 about if all the trees died? That's not a human risk,
2 in the fact that unless a tree falls on a person, it
3 doesn't kill a human, but certainly it affects the
4 environment that people would be living in, moving
5 into it. It affects real estate values, it affects
6 temperature. It then affects all the health of all
7 the other species that live there. It affects the
8 soil, effects the water infiltration, all of those
9 things.

10 And I'm saying that in some sense
11 it's an artificial distinction to pull apart human
12 health and ecological health. It may be important
13 scientifically to look at them separately to structure
14 the analysis. But somehow where do they get put back
15 together and they say, these things really overlap?

16 MR. PAUL GOETCHIUS: Well, the
17 manager is the one that puts them back together.

18 MR. SCOTT BECKETT: Okay. That's
19 what I'm curious about.

20 MR. TED SIMON: Yeah, they do. Now,
21 there is a -- you've got to remember, the agency, EPA,
22 it connects with the wheel of Congress. Congress has
23 written its regulations and we're -- our job is to

1 implement the regulations.

2 And frankly, if we kill all the
3 trees, that may well be an adverse effect to the
4 humans, but that is not in the regulation. And, you
5 know, to be perfectly honest, we don't look at that in
6 risk assessments, in --

7 MR. SCOTT BECKETT: Well, I --

8 MR. TED SIMON: -- (inaudible)
9 practice.

10 MR. SCOTT BECKETT: Okay. I'm just
11 saying, I think that we as the Board need to be aware
12 that the analysis we're looking at may not cover all
13 the values that we need to be aware of. These are
14 very well structured and they cover lots of stuff, but
15 there may be other things going on that these studies
16 don't address.

17 MS. MIKI SCHNEIDER: Who is the risk
18 manager in our case?

19 MR. TED SIMON: Ron, go ahead and
20 answer that.

21 MR. RON LEVY: The team is the risk
22 management in our case, the BCT. We're making the
23 risk management decisions.

1 MR. PAUL Goetchius: Ron, can
2 address this gentleman's question? You've raised a
3 really good point. One of the principles that
4 underlies both the human health and the ecological
5 risk assessment is that if you protect for the most
6 sensitive receptor or the most highly exposed
7 receptor, you also protect for all other receptors.
8 Ted mentioned that when he mentioned the residential
9 receptors compared with, I think, site workers or
10 something like that. So, if for example (inaudible)
11 you have some chemical that's interfering with --

12 THE COURT REPORTER: I'm sorry. I'm
13 sorry.

14 MR. PAUL Goetchius: -- you have
15 some chemical that's interfering with the life of the
16 trees say, that's going to be the most sensitive
17 driver, risk driver on that particular site. And risk
18 management decisions made to deal with that would also
19 be protective of less sensitive receptors, be they
20 human or whatever. So, in effect, you're covered,
21 even though you haven't seen a formal pre-synthesis of
22 what was taken apart for the purpose of the analysis.

23 MR. ROB ZIMMER: There is one other

1 point, Paul, that I think really does explain it,
2 because I think it is covered and I don't think that
3 there is a major gap here. And that is: Do you
4 remember I emphasized the all important assessment end
5 points?

6 When we sit down around a table, if
7 long-leaf pines and, you know, certain pines or
8 certain types of trees are a valued ecological
9 resource, because the humans say that that's a
10 valuable ecological resource, well, our ecological
11 risk assessment will be focused in to make -- the
12 ensure the protection of those species of trees. Do
13 you understand what I'm saying?

14 So, again, that's why we stop, and
15 that's why these things aren't done overnight. We'll
16 stop and make sure that everybody is in agreement with
17 what we're valuing as assessment end points.

18 And that's where I think you do get
19 some overlap in that you can say, well, I think that
20 tree is valuable. If we lost all of those trees due
21 to problems with the root system, boy, that's hurt our
22 environment and our recreational resources, etcetera.
23 Well, that's a valuable resource that we're going to

1 look at.

2 MR. TED SIMON: Let me just mention
3 one other thing in the national contingency plan.

4 MR. DOYLE BRITTAIN: Speak up, Ted.

5 MR. TED SIMON: Let me address one
6 other thing in the national contingency plan. There
7 are nine criteria by which these site decisions, site
8 remedial decisions are made. If I miss some, Doyle,
9 you'll help me out?

10 MR. DOYLE BRITTAIN: Sure.

11 MR. TED SIMON: The first one is
12 protection of human health and the environment. The
13 second one, I recall, is cost. The third one is
14 reduction of toxicity mobility and persistence. And I
15 think there's a short term and a long term that that
16 relates to. Those are four criteria. There is state
17 acceptance, there is community acceptance. All of
18 these are factored into this decision. So, it's not
19 just risk.

20 So, if you come to a situation where
21 there is a problem at a site that is not dealt with
22 under either of these risk assessments, that is not
23 covered by the law, many times a decision will be made

1 to deal with the problem.

2 I'm thinking of another base I
3 worked at. There was a rubble pile. It was
4 construction rubble. They went out and sampled.
5 There was nothing there. And it was nasty. So, they
6 were digging up something else. They brought a
7 bulldozer in and dug it up, graded a spot, and took it
8 away.

9 There was no basis for EPA telling
10 them to do anything. But this was a decision -- it
11 was the right decision -- this was the decision that
12 was made on the basis of these other criteria.

13 And so, the fact whether you get an
14 acceptable or unacceptable risk does not determine the
15 decision. It is a tool, it is a piece of information
16 that's used by the decision makers, but it doesn't
17 determine totally what the decision is. Does that
18 help?

19 MR. SCOTT BECKETT: Uh-huh, thanks.

20 MAYOR WILLIAM KIMBROUGH: In the
21 process that we've gone through here, you've explained
22 that there have been two different processes. And I'm
23 referring mainly to my little pit as landfill three.

1 Okay. We came up - you said there's -- human health
2 is one issue and then the groundwater was another
3 issue. Are those separate EE/CAs that are being done?
4 And then can you have a recommendation for remediation
5 for one that is maybe in conflict with not the other?
6 Because we've got a recommendation of capping, right?
7 And that was based on the EE/CA that was done for
8 what, Ron?

9 MR. RON LEVY: Let me make sure I
10 understand you. There is essentially two different --
11 there is essentially two different investigations
12 going on. Okay? It's really not human health and
13 groundwater, it's the landfill and the fill area and
14 then the groundwater. And we've split them up into
15 two separate investigations in part of those
16 processes.

17 And we're addressing the fill and
18 what's in the landfill in the EE/CA. And we're doing
19 an RI for the groundwater. And that's seen in the
20 groundwater monitoring wells that we've been
21 installing within the highway and across the road.

22 So, there will be two essential --
23 essentially, at the end of each one -- and you saw it

1 in the EE/CA -- there will be a recommended
2 alternative, and there will be the same thing at the
3 end of the RI for the groundwater, there will be a
4 recommended alternative with the intent to be
5 protective, either for the groundwater or for the
6 landfill, each one of those is --

7 MAYOR WILLIAM KIMBROUGH: Okay, how
8 can you -- how can you separate the two? How can you
9 come up with a recommendation that capping when the
10 problem of the groundwater is coming from the
11 landfill? How can you separate those two issues? I
12 mean, we've already got a recommendation, which -- on
13 the landfill of capping. We haven't gotten the total
14 analysis from the groundwater. So, how can we not
15 consider that in the recommendation that was made for
16 capping the landfill?

17 MR. RON LEVY: The decision to split
18 the two was -- and I will tell you that this was a BCT
19 decision, you know, even though we are the lead
20 agency, we all agreed that we were going to do this
21 and pursue the groundwater separately.

22 And there's -- I know there is some
23 conflict in terms of the -- in terms of what we're

1 doing for the landfill. But, in the landfill, we are
2 addressing the fill area for purposes of the fill
3 area, what's in the fill.

4 What's already in the groundwater is
5 already in the groundwater. It doesn't go away, no
6 matter what you do. So, it has to be addressed. And
7 it's being addressed separately, because it does not
8 matter what you do up there for the fill area. The
9 groundwater is always going to be contaminated. So,
10 we're looking at a separate remedy for the
11 groundwater, from what we got in the fill area.

12 Now, we can argue whether or not the
13 remedy we defined at this point for the fill area is
14 adequate or not. We won't go there, at this point,
15 but --

16 MAYOR WILLIAM KIMBROUGH: Well, I
17 just -- you know, when we were talking about the two,
18 and you had said you were doing two different studies,
19 the groundwater and the landfill, and so I assume
20 they're going through the same process for each one of
21 them. You've completed it for the landfill and now
22 the groundwater, you'll be going through basically
23 this same process.

1 MR. RON LEVY: Yeah. And I will
2 tell you that, Steve -- this is not -- where is Steve?

3 MR. JOSH JENKINS: He's gone.

4 MR. RON LEVY: I would argue that
5 this is not a unique situation. It's done at other
6 locations, as well.

7 MS. DONNA FATHKE: Ron, I've got a
8 question. What happens if when you finish the EE/CA
9 on the groundwater if you end up with --

10 MR. RON LEVY: It's an RI.

11 MS. DONNA FATHKE: I'm sorry?

12 MR. RON LEVY: It's a remedial
13 investigation that we're doing of the groundwater.
14 It's a characterization, as well, but it's called --
15 it's an RI.

16 Go ahead. Finish your question.

17 MS. DONNA FATHKE: What does that
18 mean, with respect to the EE/CA? Are you saying it's
19 not going to go through the same process?

20 MR. RON LEVY: An EE/CA is a
21 streamlined process where you're looking at -- where
22 you're essentially looking at -- make sure -- where
23 you're -- let me stop myself for just a second. An

1 EE/CA is essentially the same process as an RI, but
2 it's a streamlined process, you know where you're --
3 you essentially know where you're going with it.
4 Whereas an RI --
5 MS. DONNA FATHKE: You're clueless?
6 MR. RON LEVY: No. Somebody --
7 MS. DONNA FATHKE: You're not sure
8 where you're going with it?
9 MR. RON LEVY: No, that's not the
10 point.
11 MS. DONNA FATHKE: Is it more data
12 gathering?
13 MR. RON LEVY: No, that's not the
14 point.
15 MR. JOE DOYLE: In the case of the
16 EE/CA you've got the presumptive remedies.
17 MR. RON LEVY: We can talk --
18 yeah -- I want to make sure I put this in the right
19 terms so it's easy to understand. We're
20 characterizing in both senses. Okay? One is a
21 streamlined process and one is a process that's --
22 it's just a full process, as opposed to a streamlined
23 approach to it.

1 DR. BARRY COX: And how do you make
2 a decision on which one you're going to use?

3 MR. RON LEVY: Well, in the case --
4 and we did this long before Doyle and Philip were
5 there, when Bart and Chris were with me. EPA has got
6 a presumptive remedy for landfills, military
7 landfills, particularly. There is a directive. And
8 in that presumptive remedy it says cap, essentially,
9 or cover.

10 And we were assuming that that's
11 where we were going with this, at the time, because it
12 was a presumptive remedy. And EE/CAs are generally,
13 they're focused. When you have a presumptive remedy,
14 you can focus on that presumptive remedy and really
15 move in a streamlined approach.

16 We thought we were going to move
17 fairly quickly on this. Of course, that's not
18 happened. I mean, we've had to go back several times
19 and discuss and argue about, you know, what we needed
20 for additional data.

21 But we thought we were going in that
22 direction. We were using that approach. That's why
23 we used an EE/CA.

1 And if you look at some of EPA's
2 directives, you can see where they talk about a focus
3 (phonetic) feasibility study or an EE/CA. And that's,
4 in fact, that's what we did, knowing that we were
5 looking at a presumptive remedy for military
6 landfills, because military landfills tend to be more
7 unique than regular -- than just a conventional or a
8 municipal landfill, because you really don't know a
9 lot of times what went in those.

10 And the presumptive remedy is such
11 that you really don't want to -- they talk about cover
12 or cap, because you really don't want to remove that
13 stuff, you don't know what you're getting into
14 sometimes.

15 So, that's why we decided to use an
16 EE/CA. And those decisions were made, I want to say,
17 three or four years ago. And that's why we've been
18 using the EE/CA for this particular site.

19 The RI on the groundwater, we don't
20 have a presumptive remedy. We're not actually sure
21 where we're going to end up in terms of what's out
22 there. So, we're doing a full blown RI. And, you
23 know, depending on what comes out of that, you know,

1 we'll pick a remedy. I can't tell you what that's
2 going to be, at this point.

3 MS. DONNA FATHKE: So, what if that
4 remedy is in conflict with the remedy that's come out
5 of the EE/CA for the landfill?

6 MR. RON LEVY: They're two different
7 -- I mean, they're two different things. It wouldn't
8 be in conflict. They're just two different things.

9 MS. DONNA FATHKE: Well, what if it
10 shows that the increase of hazardous material in the
11 groundwater is increasing because groundwater is
12 washing the landfill, even though it's been capped?

13 MR. RON LEVY: Well, we can argue
14 that that's -- that the remedy we're talking about for
15 the landfill is not an appropriate remedy to affect --
16 to keep contamination of the groundwater from
17 happening. You can argue that.

18 But the contamination of the
19 groundwater is always there. So, you need to figure
20 out what it is you're going to do to address the
21 groundwater issues.

22 MR. SCOTT BECKETT: So, is it
23 possible that in addressing the groundwater issues, if

1 we find out that material is continuing to leach from
2 the capped landfill into the groundwater, so then
3 you're not just concerned about what's existing in the
4 groundwater, but what's continuing to enter the
5 groundwater, would a determination from an RI on the
6 groundwater then prompt a re-evaluation of the capping
7 decision on the landfill?

8 MR. RON LEVY: It may -- it could in
9 fact do something different to associate it with that
10 fill area, maybe -- I don't know, slurry wall. Guys,
11 BCT, give me some examples here.

12 MR. PHILIP STROUD: That is an
13 example, slurry wall.

14 MR. RON LEVY: To address it. But
15 if you decided that you were going to remove that fill
16 material because you think the source is still in
17 there and it's leaking in there, removing that doesn't
18 take care of your groundwater issue. It's still
19 there.

20 MR. SCOTT BECKETT: I understand
21 that.

22 MS. DONNA FATHKE: I understood
23 that. Yeah, you still have to come up with a remedy

1 for that.

2 MR. RON LEVY: Right.

3 MS. MIKI SCHNEIDER: I'm curious
4 about the comment about the groundwater is always
5 there, the contamination is always there. Can't it
6 move and go somewhere else?

7 MR. RON LEVY: Certainly.

8 MS. MIKI SCHNEIDER: Can't you take
9 it out?

10 MR. RON LEVY: That could be the
11 remedy. For the groundwater, itself, you could do
12 some sort of pump and treat.

13 MAYOR WILLIAM KIMBROUGH: As long as
14 we don't pump it out of our wells, we'll be all right.

15 MR. RON LEVY: At this point, we
16 really don't know -- we've not determined -- we've not
17 -- in a RI, we have not determined the nature and
18 extent, yet. Certainly, we don't know the extent of
19 that.

20 We're going to brief you next month
21 about what's coming out of the additional wells that
22 we've put in. But we've still not hammered down or
23 gotten to the point where we can say we actually know

1 where it's at.

2 MR. CRAIG BRANCHFIELD: Are there
3 any other questions on the risk assessment
4 presentations before we move on? Okay.

5 Unexploded ordnance video. The
6 video is about twenty minutes long, and we still have
7 to go through new business and audience comments.
8 Glynn has whispered over to me that if the RAB would
9 like, we can put the video off to the next RAB
10 meeting, if we'd like to move on into the new
11 business, since we're running a little long tonight.
12 Is anyone -- I'm getting the thumbs up from this end
13 of the table. Is anyone opposed to that idea? I'm
14 getting an -- okay, never mind. We will postpone the
15 video until the next RAB meeting.

16 And with that, we'll move on to new
17 business and the agency reports. And I guess we'll
18 start with Philip.

19 MR. PHILLIP STROUD: Okay, as usual,
20 I'm going to hand out some of the reports that are in
21 review. A lot of ones we've completed since the last
22 time. Again, I'm going to say it again, the reports
23 we're reviewing now are very, very difficult. And

1 they take an enormous amount of time to review. We're
2 getting into the remedial investigations and
3 unexploded ordnance. And I wanted to also, while I'm
4 saying unexploded ordnance, Spencer Nelson of URS
5 Group is here. He'll be going on a site tour with us
6 tomorrow. Glad to have him on board.

7 All right. And here's the list of
8 them. I'm going to pass them around. And I'm going
9 to save y'all some time, and y'all can read it. If we
10 need more, we'll get some copies.

11 (Whereupon, a discussion was held off the record.)

12 MR. PHILIP STROUD: I don't have
13 anything else to add.

14 MR. CRAIG BRANCHFIELD: Is that it?
15 Okay. Doyle.

16 MR. DOYLE BRITTAIN: Basically, for
17 the last month, the majority of my time has been spent
18 reviewing the landfill documents. And I don't know if
19 you all have seen those or not. The EE/CA, for the
20 landfill -- I forget if it's two or three volumes that
21 are about four inches thick -- and then there is a
22 site-definition report that's four volumes. Each of
23 those are about four inches thick. That's some pretty

1 heavy reading. But anyhow, the majority of our time
2 has been spent reviewing those and then a few other
3 small documents, such as the screening ecological risk
4 assessment for the small arms ranges over there at
5 Iron Mountain Road.

6 So, we've been busy trying to get
7 caught up on our review of documents. And right now,
8 I think we are caught up. That's all I have.

9 MR. CRAIG BRANCHFIELD: Doyle, do
10 you have any comments on the review so far as the
11 landfill EE/CA?

12 MR. DOYLE BRITTAIN: We've submitted
13 those to Ron. He has our comments.

14 MR. CRAIG BRANCHFIELD: Can you give
15 us a sense for what was in those comments?

16 MR. DOYLE BRITTAIN: Well, as far as
17 the EE/CA, don't have any real problems with it. I
18 think we need some more data to determine the nature
19 and extent of contamination and basically what risk
20 may be posed by those. This is something that we'll
21 be working with the Army on that, something we'll be
22 talking about later this week, what additional data
23 may be needed for that.

1 But as far as what the Army has
2 done, the quality of the data is good. I have no
3 problems with anything on that. The only question is
4 is that there's just what we feel like are some data
5 gaps that need to be filled.

6 MR. CRAIG BRANCHFIELD: Is that
7 primarily on the human health or the ecological side?

8 MR. DOYLE BRITTAIN: I would like to
9 say on both right now.

10 MR. CRAIG BRANCHFIELD: Okay. Is
11 that more or less -- I know we saw in the paper that
12 ADEM had comments, also. Philip --

13 MR. PHILIP STROUD: Yes.

14 MR. CRAIG BRANCHFIELD: -- is that
15 more or less on the same line as what Doyle is saying?

16 MR. PHILIP STROUD: We're on the
17 same line.

18 MR. CRAIG BRANCHFIELD: Okay. I
19 know the answer to this question, because I asked
20 Glynn before the meeting, but, Glynn, or, Ron, could
21 -- my question that some of you may have was: Are EPA
22 and ADEM's comments required to be addressed, you
23 know, as part of the public comment period or is it a

1 separate process?

2 And basically the answer to that
3 question -- you guys can jump in any time -- is that
4 comments from ADEM and EPA are considered in parallel,
5 I mean, right along with any public comments they
6 receive. So, those comments, I guess, officially
7 wouldn't be addressed until the end of the public
8 comment period; is that correct?

9 MR. GLYNN RYAN: That's correct. We
10 will take a look at all the comments. And we will --
11 when it closes on the 19th of August, the Army will
12 sit down with the risk assessors that -- with Shaw and
13 go through all of the comments. We'll address those.

14 Sometime after that we'll present,
15 you know, all of the comments back to respond to,
16 whether it's yours, JPA's comments, or EPA, or ADEM's,
17 or community members.

18 MR. CRAIG BRANCHFIELD: Is there
19 like an administrative record or something on that,
20 Glynn, where you guys list each comment and what the
21 Army's response is to it that becomes public at some
22 point in time?

23 MR. GLYNN RYAN: Yes.

1 MR. CRAIG BRANCHFIELD: Okay.
2 Anything for Doyle or Philip before we move on to
3 Miki? Miki.

4 MS. MIKI SCHNEIDER: Thank you. As
5 we said earlier tonight, we have Jennifer Heath, our
6 risk assessor here tonight. She'll be working with us
7 tomorrow. And then next week our engineer from
8 Matrix Engineering is coming in and has requested a
9 list of documents from the Army and will be here
10 reviewing some documents so that we can continue to
11 develop our comments to give to the Army by the August
12 deadline.

13 We start pulling our first of nine
14 underground storage tanks this Wednesday at McClellan.
15 Looking forward to that experience.

16 And I guess the biggest news that
17 you probably read about in the paper was the
18 introduction of a possible national preparedness
19 university that would be affiliated with the training
20 for Homeland Security. We're continuing to work
21 through that and talk through that with people from
22 the federal level and the state level.

23 The housing sales are continuing

1 quite nicely. Most of the properties that we have
2 that were available for rental have been rented and
3 all the houses but seven on Buckner Circle are sold.
4 So, we're excited about that.

5 We're continuing the conversations
6 with the -- talking about doing a convention center up
7 in the Buckner Circle area. And that's something that
8 we feel is in need in the community, and we're
9 pursuing that.

10 MR. CRAIG BRANCHFIELD: Any
11 questions for Miki?

12 Action summary sheet. Ron, anything
13 specific you want to talk about there?

14 MR. RON LEVY: I won't read this
15 thing verbatim. We've sent it out to you.

16 Just the first part talk about the
17 off-site groundwater monitoring. Essentially, we're
18 -- we're still getting data in. We do -- or I should
19 say we expect to present the data to the BCT tomorrow
20 for review. And then next month, for those additional
21 monitoring wells, we'll come back to the RAB and give
22 you that data -- what's coming out of those wells. I
23 haven't seen it, myself, yet. We're going to get it

1 this week.

2 There is some discussion on the
3 status of the ongoing work in the Alpha, Bravo,
4 Charlie area EE/CAs. There's still a lot of internal
5 review going on. It talks about that in the Alpha
6 area EE/CA. And we're in the process of producing the
7 report on the Bravo area EE/CA. Charlie, they're in
8 the field working as we speak. And M101 area, they're
9 also in the field, Field work continues.

10 Eastern bypass is just as well,
11 they're in the field doing -- on the removal actions.
12 Discussion there about CWM investigation. You've
13 heard that. You've gotten briefed on that. The
14 details are in the minutes or in the action summary
15 sheet.

16 Landfill EE/CA, at this point, we're
17 still -- Glynn said, we are still accepting comments
18 through the 19th of August. There was a little
19 discussion about the present FOSTs that we've got in
20 and contractors that are on the installation, which
21 the numbers are in there about that.

22 Anybody got any specific questions
23 about actions or work that's ongoing on

1 Fort McClellan? I'm glad to entertain that.

2 MR. CRAIG BRANCHFIELD: Any
3 questions? Anything else, Ron?

4 MR. RON LEVY: No.

5 MR. CRAIG BRANCHFIELD: No, okay.
6 Technical review committee report. I have nothing to
7 report. Barry, anything?

8 DR. BARRY COX: (Shakes head.)

9 MR. CRAIG BRANCHFIELD: Update of
10 TAPP contract hours. I can read what's here in front
11 of me, Ron, or --

12 MR. RON LEVY: The RAB had asked
13 about Mr. Grant's status on his billing. Based on the
14 contract, there was about five hundred hours in the
15 contract. He's billing at fifty dollars an hour. And
16 to this point, he's billed for about twenty-five point
17 five hours, twenty-five and a half hours, at fifty
18 dollars an hour. That leaves us with about four
19 hundred and seventy-four and a half hours left in his
20 contract. This was what people were interested in, to
21 make sure we didn't put too much work on him and still
22 have the ability to push work his way.

23 I think Ron's right now in kind of a

1 mode, receptive mode to be told by the RAB if there is
2 specific things that they want to be --

3 MR. RON GRANT: I haven't billed for
4 any hours for the last month.

5 MR. CRAIG BRANCHFIELD: Okay. If
6 you wouldn't mind, Ron, hanging out for just a couple
7 of minutes afterwards, I know Barry and I wanted to
8 sit down and talk to you about a couple of things,
9 Ron, if you have a minute. Appreciate that.

10 But if anyone on the RAB, as you're
11 reading through Philip's summary of documents that the
12 agency is reviewing or as you're looking at the action
13 summary sheet or anything else, if there's anything
14 that you have questions on that you'd like to propose
15 Ron take a look at, please, let me know, E-mail, call
16 me, whatever, and I will make the request to Ron. As
17 you see, you we've got plenty of hours here to use for
18 him.

19 So, this is our chance to have
20 somebody do some legwork for us and educate us. And
21 we should certainly take advantage of it to the extent
22 that it's practical and appropriate. Please, let me
23 know if there's anything specific you'd like for me to

1 take a look at.

2 Okay. Anything else before we move
3 on to audience comments? No. Are there any questions
4 or comments from the audience this evening? Big
5 crowd, big crowd.

6 Okay, well, all right. Well, with
7 that said, it's a quarter after 8:00, so do I hear a
8 motion to adjourn for the evening?

9 MS. DONNA FATHKE: Yes, you do.

10 MR. JERRY ELSER: Second.

11 MR. CRAIG BRANCHFIELD: Anyone
12 opposed? Then we will carry the motion to adjourn for
13 the evening. Thank you.
14 (Whereupon, the meeting was adjourned.)

15

16

17

18

19

20

21

22

23

1 C E R T I F I C A T E

2 STATE OF ALABAMA)

3 CALHOUN COUNTY)

4

5 I, SAMANTHA E. NOBLE, a Court

6 Reporter and Notary Public in and for The State of

7 Alabama at Large, duly commissioned and qualified,

8 HEREBY CERTIFY that this proceeding was taken before

9 me, then was by me reduced to shorthand, afterwards

10 transcribed upon a computer, and that the foregoing is

11 a true and correct transcript of the proceeding to the

12 best of my ability.

13 I FURTHER CERTIFY this proceeding

14 was taken at the time and place and was concluded

15 without adjournment.

16

17

18

19

20

21

22

23

P.O. BOX 544
OHATCHEE, AL 36271
256-892-0591
FAX 256-892-3001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

IN WITNESS WHEREOF, I have hereunto
set my hand and affixed my seal at Anniston, Alabama,
on this the 23rd of July, 2002.

SAMANTHA E. NOBLE
Notary Public in and for
Alabama at Large

MY COMMISSION EXPIRES: 11-19-2005.