

NOBLE & ASSOCIATES

1

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, a Court
Reporter and Commissioner for Alabama at Large, at Building
215, Fort McClellan, Alabama, on the
18th day of August, 2003, commencing at approximately 6:30
p.m.

P.O. BOX 544
OHATCHEE, AL 36271 256-892-0591
FAX 256-892-3001

NOBLE & ASSOCIATES

2

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-68
CERTIFICATE	69-70

P.O. BOX 544
OHATCHEE, AL 36271 256-892-0591
FAX 256-892-3001

1 DR. MARY HARRINGTON: Good evening.

2 We'd like to bring our meeting to order. At this
3 time, we'll now have our roll call. Harrington is
4 here. Mr. Doyle is here. Beckett? Buford?
5 Mr. Clendenin?

6 MR. MONTY CLENDENIN: Here.

7 DR. MARY HARRINGTON: Conroy?

8 MR. PETE CONROY: Here.

9 DR. MARY HARRINGTON: Dr. Cox?

10 DR. BARRY COX: Here.

11 DR. MARY HARRINGTON: Steffy? Am I
12 pronouncing that correctly?

13 DR. STEFFY: Yes. Here.

14 DR. MARY HARRINGTON: Elser?

15 MR. JEROME ELSER: Here.

16 DR. MARY HARRINGTON: Fathke?

17 MS. DONNA FATHKE: Here.

18 DR. MARY HARRINGTON: Mr. Franklin
19 is excused. McCary. Branchfield? Hood?
20 Mayor Kimbrough?

21 MAYOR WILLIAM KIMBROUGH: Here.

22 DR. MARY HARRINGTON: Ms. Bragg?

23 MS. CHERYL BRAGG: Here.

1 DR. MARY HARRINGTON: Mitchell?

2 MR. DWIGHT MITCHELL: Here.

3 DR. MARY HARRINGTON: Miller is

4 excused. Mr. Grant's here.

5 MR. RON GRANT: Here.

6 DR. MARY HARRINGTON: Mr. Levy?

7 MR. RON LEVY: Here.

8 DR. MARY HARRINGTON: Mr. Brittain

9 is excused. Mr. Stroud?

10 MR. PHILIP STROUD: Here.

11 DR. MARY HARRINGTON: At this time,
12 we will have an introduction of our guests. We'll go
13 around the room. And save the comments that you wish
14 to make, if they are people in the audience, until the
15 end.

16 MS. KAREN PINSON: I'm Karen Pinson,
17 Transition Force.

18 MS. LISA HOLSTEIN: Lisa Holstein,
19 Transition Force.

20 MS. BRENDA CUNNINGHAM:
21 Brenda Cunningham, Transition Force.

22 MR. CHIP PARROTT: Chip Parrott,
23 Corps of Engineers, Mobile District.

1 MR. DAN COPELAND: Dan Copeland,
2 Corps of Engineers, Huntsville.

3 MR. ART HOLCOMB: Art Holcomb,
4 Foster Wheeler.

5 MR. JOSH JENKINS: Josh Jenkins,
6 Shaw E&I.

7 MR. JOHN RAGSHDAL: John Ragshdal,
8 Shaw E&I.

9 MR. PAUL JAMES: Paul James,
10 Transition Force.

11 MR. BOB DAFFRON: Bob Daffron,
12 National Guard Training Center.

13 MR. BILL SHANKS: Bill Shanks,
14 Transition Force.

15 MR. BOB SCHMITTER: Bob Schmitter,
16 with the TOSC Program.

17 DR. MARY HARRINGTON: Now, if we
18 may, we'll get into the approval of our July minutes.

19 I think we had -- I counted nine,
20 ten, with myself; is that correct?

21 MS. DONNA FATHKE: I think that's
22 good.

23 DR. MARY HARRINGTON: Is that

1 correct?

2 MAYOR WILLIAM KIMBROUGH: You need a
3 motion? I'll make a motion for approval.

4 DR. MARY HARRINGTON: Thank you.

5 MR. PETE CONROY: Second.

6 DR. MARY HARRINGTON: It has been
7 properly motioned and seconded that the
8 July 21st, 2003 minutes be approved as printed.

9 Ready for the vote? All in favor of
10 said motion let it be known by I. Opposes, the same
11 opportunity. Thank you.

12 Now, we want to move into our
13 program for tonight, which is to begin with the
14 landfill three groundwater monitoring for first and
15 second quarters and ten newly installed wells.
16 Mr. Jenkins.

17 MR. JOSH JENKINS: Okay. What I
18 want to do today is just to brief everybody on the
19 work done to date, completed to date at landfill
20 three. Basically, since 2002, about this time period
21 last year, we talked about some of the geology and
22 hydrogeology investigations.

23 And since that time period, there

1 has been some additional work done and that's what
2 we're going to talk about tonight. Next slide.

3 Just to update you, refresh your
4 memory on what we know. Groundwater, the groundwater
5 contaminant plume is defined in fractured mudstone and
6 siltstone. The contaminant plume consists primarily
7 of chlorinated volatile organic compounds or
8 chlorinated VOCs.

9 There are structural geologic
10 features trending along Highway 21 just to the west
11 and northwest of landfill three and they appear to
12 influence groundwater and contaminant movement.

13 The City of Weaver potable water
14 supply wells, the two wells, have not been impacted by
15 VOCs from landfill number three. Next slide.

16 And there are at least three faults
17 that the Army has inferred between landfill number
18 three and the City of Weaver wells, which may impact
19 the groundwater and contaminant movement.

20 The bedrock contaminant plume, which
21 is deep, trends north-south along Highway 21. It
22 appears to be moving with the groundwater flow
23 direction in a northeasterly direction.

1 Just to refresh you on the history
2 of landfill number three, it was used as a post
3 sanitary landfill from 1946 until 1967. It was
4 constructed as a series of trenches that were filled
5 with sanitary waste. It's approximately twenty-three
6 acres in size.

7 This is landfill three, main post,
8 map of the main post. Landfill three is up here in
9 the northwest corner. The structural features I
10 mentioned, we've inferred along Highway 21, that was
11 done with some previous boring and geologic
12 investigations that were completed in 2000, 2001.
13 Next slide.

14 Okay, the VOC distribution in
15 groundwater. Now, this time last year we discussed
16 the VOC distribution in groundwater. At that time,
17 the City of Weaver had been sampled three times by the
18 Army. There had been no detectable concentrations of
19 VOCs.

20 The chlorinated VOC distribution
21 associated with landfill three appears to trend along
22 the major fracture orientation in the bedrock. And
23 the analytical results from the groundwater indicate

1 that the VOCs extend along Highway 21 to the northeast
2 and they appear to be seen at increasing depths as you
3 go away from the landfill.

4 The horizontal extent of the
5 contaminant plume was defined to the west. The
6 Medders and Lowery wells, which are two domestic wells
7 that had been previously sampled, they were sampled in
8 2001 and no VOCs were detected in either of those
9 wells.

10 By the way, those wells, even though
11 they're domestic wells, they're no longer being used.
12 Both of those folks are on potable water supply.

13 And the last thing, there's evidence
14 that degradation is occurring. By that I mean there
15 are well-known published pathways, if you want to call
16 it that, that where you've got a compound, a
17 chlorinated compound that will, under certain
18 conditions, break down into other compounds over time.
19 And we are seeing evidence of those degradation
20 pathways. Next slide.

21 Again, here is landfill three,
22 northwest corner of Fort McClellan right here.
23 City of Weaver's water supply wells number two and

1 number three. Number one is no longer in service.

2 This is the Medders well location, which
3 is just across Highway 21 from the northern part of
4 landfill number three, and the Lowery well, which is
5 just across from the northwest corner of the main
6 post.

7 Data from 2002. This was our VOC
8 plume, as we looked at it in the shallow or
9 residuuum/transition wells. Kind of a boomerang shape.
10 Next slide.

11 And this is the distribution of the
12 VOC plume in the bedrock wells, the deeper wells.
13 These wells are -- at the time, were in excess of a
14 hundred and fifty to two hundred feet deep.

15 I've got some dash lines up here.
16 We inferred the horizontal extent to the north, to the
17 east, and to the south. Next slide.

18 MR. RON GRANT: What are the
19 concentration units on those two charts?

20 MR. JOSH JENKINS: The
21 concentrations are -- back up one slide, please. The
22 concentrations, these units are in parts per million.
23 And the concentrations range from -- this outside line

1 is the one part per billion or the
2 point zero zero one ppm concentration. And right
3 here, this concentration is up to two hundred and
4 fifty parts per billion or .25 parts per million
5 concentration line.

6 Any other questions?

7 MR. DWIGHT MITCHELL: Can you
8 contribute the degradation to perhaps the heavy amount
9 of rainfall on the groundwater or no?

10 MR. JOSH JENKINS: Up to this point
11 in 2002, no, because we were right in the middle of a
12 drought during that time period. We were seeing
13 degradation compounds -- there is a compound that we
14 have associated with landfill number three,
15 trichloroethene, and it breaks down into -- goes
16 through a long pathway.

17 Vinyl chloride is a compound that
18 you see near the end of that degradation pathway. We
19 saw vinyl chloride last year at this time. So, it
20 really has nothing to do with rainfall.

21 Next slide. Oh, I'm sorry.

22 MR. SCOTT BECKETT: How do those
23 concentrations relate to impact on human health?

1 MR. JOSH JENKINS: I tend to get to
2 that in a minute --

3 MR. SCOTT BECKETT: Okay.

4 MR. JOSH JENKINS: -- right near the
5 end, because what I want to do is I want to give you
6 the most recent data and then discuss it within that
7 context.

8 MR. SCOTT BECKETT: Sure.

9 MR. JOSH JENKINS: So, if you'll
10 just hold off on that, I can talk to that question.

11 MR. SCOTT BECKETT: That's fine.

12 MR. JOSH JENKINS: So, the remedial
13 investigation activities. Based on the data that I
14 just summarized, the BCT, in 2002, agreed that further
15 delineation was required to the north, south, and
16 east. And in doing so, they decided that quarterly
17 groundwater sampling would be a good idea, just to
18 monitor what was going on over a relatively short
19 period of time and also install some additional wells
20 to the north, south, and east, and sample those wells
21 to see if the horizontal extent could be further
22 defined -- horizontal and vertical extent -- excuse
23 me -- could be further defined.

1 So, talk about the quarterly
2 groundwater sampling. The BCT came up with a list of
3 twenty-one wells to sample in September and
4 October 2002 and again in March of 2003. And I
5 believe Ron presented the September and October
6 results back in January or February of this year.

7 But of those twenty-one wells,
8 nineteen were monitoring wells that were installed by
9 the Army associated with landfill number three. And
10 then also, the two City of Weaver potable water supply
11 wells were also sampled just to sample these wells
12 because they are a public concern issue. Next slide.

13 Again, wells were selected
14 interactively by the Fort McClellan BCT, the Army,
15 ADEM, and EPA. Here is the list -- or here is the
16 map, showing the wells highlighted that were included
17 in the groundwater sampling event, the quarterly
18 groundwater sampling event in the fall of 2002 and the
19 spring of 2003.

20 These are the nineteen monitoring
21 wells. And, of course, The City of Weaver potable
22 water supply wells are approximately one point seven
23 and two miles respectively to the west, northwest.

1 Next slide.

2 Now, what we've seen in sampling
3 these wells on a quarter -- in two quarters, we've
4 seen concentrations within the wells fluctuate over
5 time with increased precipitation. Next slide.

6 DR. BARRY COX: What's your
7 interpretation of that?

8 MR. JOSH JENKINS: Well, what I want
9 to do is I want to speak to that -- I got another
10 slide coming up that I can actually show you and talk
11 to that. I think it will be a little bit clearer.

12 The groundwater flow directions in
13 the residuum and bedrock, they appear consistent with
14 previous interpretations. And those interpretations
15 are that the groundwater flow in the residuum is to
16 the west-northwest and the groundwater flow in the
17 bedrock is to the northeast, along in the general
18 direction of Highway 21.

19 MS. DONNA FATHKE: What's that big
20 word, "residuum"?

21 MR. JOSH JENKINS: Residuum simply
22 means -- it's a short term for weathered bedrock.
23 Down here you've got -- at least that's how we use it.

1 Down here you've got the rock that was on the ground
2 and it has weathered over millions and thousands of
3 years. And you end up seeing what looks like rock on
4 the ground and you dig in it and it's like -- almost
5 like consistency of soil in a lot of cases. So, we
6 have classified that as residuum.

7 And depending on a geologist or an
8 earth scientist, whoever you talk to, that
9 interpretation can vary somewhat. But in our case,
10 we're using it as soils and highly weathered bedrock.

11 MS. DONNA FATHKE: So, that's a
12 higher level than the bedrock? I mean, above the
13 bedrock?

14 MR. JOSH JENKINS: Yeah, 'cause it
15 is near the surface. You're going to have your
16 residuum near the surface and your bedrock is deeper,
17 because your weathering processes take place at the
18 surface, creating this residuum from the bedrock,
19 which is the parent material.

20 MS. DONNA FATHKE: So, the flows are
21 going in the directions. Is that what that means?
22 The residuum is going to the west-northwest and the
23 bedrock is going to the northeast, so --

1 MR. JOSH JENKINS: That's correct.

2 MS. DONNA FATHKE: -- depending on
3 what level, they're going in two different directions?

4 MR. JOSH JENKINS: Depending on the
5 elevation of the well, yes.

6 Getting back to how the
7 precipitation has affected what we're seeing out here.
8 First of all, I want to show you what the
9 precipitation has been in the Anniston area and this
10 is from -- took the year 1998 over here and then we
11 also looked at a continuous -- January 2001 through
12 June of 2003, which is right here.

13 The blue bars represent the actual
14 rainfall recorded at the Anniston Airport, whereas
15 this line, dotted line here, represents the averages
16 from 19 -- excuse me -- from 1949 through 2000. And
17 as you can see, looking at June of this year, we had
18 over nine inches of rainfall, where the average is
19 only -- less than four. And then again in May, we had
20 over eleven inches of rainfall recorded at the
21 airport, where the average, again, is right about four
22 inches.

23 So, the last couple of months, there

1 has been an increased amount of rainfall over average.
2 The period leading up between September and March
3 of -- September 2002 and March 2003, is about right in
4 here. Again, you can see above average rainfall
5 events. And then right here you've got four months
6 that are below normal.

7 Prior to this time period -- and
8 this is about October 2002 right here -- prior to this
9 time period, you have a long stretch where you only
10 have a couple of months where, you know, dating back
11 to 2001, where you've actually had above normal
12 rainfall.

13 So, the net rainfall from 2000 --
14 January 2001 and actually beyond that, earlier, up
15 until October of 2002, has been below normal. Next
16 slide.

17 Now, what this has done -- and I've
18 taken an example here -- this is OLF-G12 -- this is a
19 residuum well in the median of Highway 21. This well
20 has historically been one of the most contaminated
21 wells associated with landfill number three.

22 We plotted the water levels in this
23 well and compared them to the total VOC concentrations

P.O. BOX 544
OHATCHEE, AL 36271 256-892-0591
FAX 256-892-3001

1 that we observed when we sampled the wells. And this
2 date represents September of '02. And this was right
3 before we actually started seeing a lot of rainfall.

4 What you can see is the total VOC
5 concentration is point five five seven parts per
6 million or milligrams per liter. But after a period
7 of some heavy rain that we saw in October and November
8 and then again in -- I think it was February and
9 March, what we are looking at is we're seeing that
10 that rainfall has pushed a slug of water into the
11 groundwater system and that water has some higher
12 concentrations of VOCs. So, it's -- we're seeing some
13 infiltration into the landfill and some in effect
14 pushing some of this higher concentrations or higher
15 VOCs out into OLF-G12. So, we go from point five six
16 milligrams per liter up to a total of over one
17 milligram per liter. And the makeup of that was
18 primarily TCEs. That was the one single chlorinated
19 VOC that we attributed that to.

20 Next slide.

21 DR. STEFFY: I'm sorry. Is G12 at
22 the landfill, itself? Where is that located?

23 MR. JOSH JENKINS: G12 is on

1 the -- can you back up, Brenda, to slide I believe
2 it's --

3 MS. LISA HOLSTEIN: Brenda isn't
4 here.

5 MR. JOSH JENKINS: Slide eleven.
6 Sorry. Just hit eleven enter.

7 MS. LISA HOLSTEIN: Eleven enter.

8 MR. JOSH JENKINS: Eleven and enter.

9 There you go. OLF-G12 is right
10 here.

11 MR. PHILIP STROUD: Slide
12 twenty-seven is a better representation.

13 DR. STEFFY: So, it's pretty close
14 to the landfill.

15 MR. JOSH JENKINS: I'm sorry?

16 DR. STEFFY: So, that's pretty
17 close. That's what, five hundred feet or less.

18 MR. JOSH JENKINS: This scale, one
19 unit is five hundred feet. So, we're looking at
20 approximately three hundred feet maybe.

21 DR. STEFFY: And the reason the
22 water table that's in the residuum is domed over the
23 landfill?

1 MR. JOSH JENKINS: Yeah, I got a
2 slide that will show that, based on the most recent
3 data.

4 MS. LISA HOLSTEIN: Thirteen enter?

5 MR. JOSH JENKINS: Go to fifteen
6 enter. That brings us up to the monitoring well
7 installation. Now, the same time period, 2002, the
8 BCT also agreed that additional wells were needed to
9 further define the vertical and horizontal extent of
10 VOCs. So, these locations were arranged primarily in
11 the northern, northwest, north, northeast, and then
12 there is also a couple of wells to the east and south.
13 These ten wells range in depth of eighty-five to over
14 four hundred feet deep.

15 And the Army performed discrete
16 groundwater sampling during the drilling activities of
17 these wells. And this just lists the wells where the
18 discrete groundwater sampling was done.

19 The scope of work was agreed on by
20 the BCT. And we went forward with that.

21 The discrete sampling was done as
22 the wells were being drilled. Water samples were
23 actually being collected. They were sent off to a

1 laboratory on a quick analysis. And we were getting
2 results back for VOC analysis.

3 And what we did was we used that
4 data to optimize the selection of our screens for
5 those particular wells or in some cases, for a well
6 pick.

7 Next slide. These are the wells in
8 blue up here that were put in. Got a well cluster up
9 here, a well pair, a well pair right here, a well pair
10 right here. And in each one of these well pairs, one
11 well was discrete sampled as it was drilled. We've
12 got one well right here, here, here, and down here.

13 Next slide. Okay, groundwater
14 elevations. What we've seen with the heavy rainfall
15 since October is overall from October up until June of
16 this year, there has been an eleven feet rise in the
17 elevation of the groundwater. And since March, we've
18 actually seen a foot rise from just -- from June to
19 March, dating back.

20 And again, if you recall, I
21 mentioned that we had nine inches of rainfall in May
22 and eleven inches of rainfall in June. So, the heavy
23 amount of rainfall, the unusual -- the high amount of

1 rainfall that we're seeing here is a -- is
2 contributing to this overall rise in groundwater
3 elevation of landfill number three.

4 Next slide. But in saying that, the
5 groundwater flow direction still appeared consistent
6 with previous interpretations.

7 Next slide. And that being
8 residuum. We've got groundwater flow here to the
9 northwest. As Dr. Steffy mentioned, we've got some
10 mounding that we have interpreted right here on the
11 southern half of landfill three. And there is also
12 some mounding that we've interpreted up here to the
13 northeast of landfill number three.

14 Groundwater flows from high
15 elevation right here to low elevation in a
16 northwesterly direction. Next slide.

17 MAYOR KIMBROUGH: Josh?

18 MR. JOSH JENKINS: Yes.

19 MAYOR KIMBROUGH: Is that a stream --
20 does that stream that goes by Reilly Lake there, does
21 that come down to the --

22 MR. JOSH JENKINS: This right here?

23 MAYOR WILLIAM KIMBROUGH: Yes.

1 MR. JOSH JENKINS: This drainage
2 path goes to the north. This drainage right here
3 coming from the northern part -- the northeast part,
4 it flows to the north. This, if you look at some
5 maps, it flows under State Alabama 21, it's called
6 Dothard Creek. And as you get further north, it's
7 called the Talla --

8 MAYOR WILLIAM KIMBROUGH:
9 Tallaseehatchee.

10 MR. JOSH JENKINS: Which one?

11 MS. LISA HOLSTEIN: Which one?

12 MR. JOE DOYLE: Can you spell that,
13 Mayor Kimbrough for --

14 MAYOR KIMBROUGH: Y'all probably
15 won't know the difference, will you, if it is --

16 MS. LISA HOLSTEIN: Josh, it's not
17 working.

18 (Whereupon, there was discussion off the record.)

19 MR. PHILIP STROUD: Josh, have you
20 done any type of calculation to calculate the actual
21 volume of contamination here?

22 MR. JOSH JENKINS: No.

23 MR. PHILIP STROUD: Do a mass

1 balance?

2 MR. JOSH JENKINS: No, no mass
3 balance has been done. We don't know what the actual
4 volume of it was going in. Nothing's been attempted
5 to date.

6 MR. PETE CONROY: Philip, what would
7 that do? What would that show?

8 MR. PHILIP STROUD: Just a -- well,
9 they know the concentration of -- basically, of the --

10 MR. SCOTT BECKETT: VOCs.

11 MR. PHILIP STROUD: VOCs. And right
12 now, if they know the boundary of the plume, you can
13 get a rough calculation of that. And it will give
14 you -- you can actually work it out in poundage or a
15 liquid volume to try to understand what that means.
16 You can almost reference like how many gallons of
17 gasoline or gallons of this.

18 MR. PETE CONROY: Yeah.

19 MR. PHILIP STROUD: And you can
20 almost kind of relate it to what kind of spill it may
21 have been. So, it may be a little premature. I'm
22 sure they'll do that in the future to calculate what
23 they may need to either clean it up.

1 MR. PETE CONROY: Is that the
2 intention?

3 MR. JOSH JENKINS: A lot of times
4 that work is done in the feasibility stage of an RI.
5 And we're not even there, yet.

6 MS. DONNA FATHKE: What do you mean
7 by "mounding"?

8 MR. JOSH JENKINS: Can you go back
9 to slide fifteen -- excuse me.

10 MR. RON LEVY: Eighteen.

11 MR. JOSH JENKINS: Go back up one
12 slide, Lisa. There we go. What I'm referring to is,
13 see this contour right here where you've got a close
14 circle, you see that, this represents one elevation,
15 whereas these lines, these curved lines or -- yeah,
16 these curved lines represent also one elevation. So,
17 when we've got a closed loop, it's what we call a
18 mound effect, because you've got groundwater at least
19 from this mound -- you've got groundwater from this
20 mound can theoretically flow in -- you know, coming
21 off this mound it can flow a little bit this way, it
22 can actually flow reverse somewhat, it could flow up
23 here a little bit. But overall, the general trend

1 continues to the northeast.

2 MS. DONNA FATHKE: So, it's a
3 natural rise in elevation at that point in the ground?

4 MR. JOSH JENKINS: Relative -- you
5 know, this well relative to this one, yeah, there is a
6 rise in elevation from this well to that well. And
7 because we've got, you know, one here and here and up
8 here, we've closed our contour right in here.

9 And it -- when you think about it,
10 it actually makes sense because this landfill appears
11 to be serving as what's called a groundwater recharge
12 area locally, in that the fill material, it's not
13 capped, it's basically, you know, exposed at the
14 surface under soil, but there is no cap that's
15 preventing rainfall from flowing down in there.

16 And what this is -- we also call
17 this a bathtub effect in that this fill area is
18 locally acting as a water bathtub or sink and water is
19 collecting in here and then flowing away.

20 MS. DONNA FATHKE: Uh-huh.

21 MR. JOSH JENKINS: Does anyone have
22 any other questions on that? Does that make sense?

23 Okay, next. This is just what I

1 mentioned previously. Groundwater flow directions to
2 the northeast. Again, these contours represent a
3 single elevation, but again, what we're seeing,
4 generally, is an overall northeasterly groundwater
5 flow direction.

6 Okay, groundwater sampling results.
7 Now, in the second quarter of 2003, which would have
8 been at the end of June of this year, the Army
9 completed sampling forty-nine wells. And the wells
10 that were sampled were the forty-six monitoring wells
11 associated with landfill three. These were thirty-six
12 pre-existing wells.

13 The ten new wells, which I just
14 discussed, the Army installed, the two City of Weaver
15 potable water supply wells, and one domestic well,
16 which was the Lowery well, which I mentioned was
17 sampled previously.

18 Next. And the BCT agreed to sample
19 the wells for VOCs only. And the results indicate
20 that again, there was no VOC detections in the two
21 City of Weaver wells. There were no detections in the
22 domestic well, the Lowery well. And what we saw --
23 TCE, trichloroethene at point zero zero two five (sic)

1 milligrams per liter -- and that J means that it was
2 so low, the concentration was so low, that it's
3 estimated. Whenever you see a J, that's what that
4 means -- was detected in OLF-G29. And I'll show that
5 location in just a second.

6 We did not see 1,1,2,2-TCA, or
7 Tetrachloroethane in that well. I bring that up
8 because in -- during the March sampling event, we
9 actually saw both those compounds in OLF-G29, but we
10 saw TCE at point zero zero zero eight. And that was
11 estimated. And 1,1,2 (sic)-TCA was at point zero zero
12 zero nine nine J. So, you can see that there has been
13 an overall decrease that we saw in that well. Next
14 slide.

15 MR. SCOTT BECKETT: Josh, at those
16 low quantities, is that a significant difference? I
17 mean, all those were estimates.

18 MR. JOSH JENKINS: They're all
19 estimates. What that means is that -- I would say,
20 no, they're not significant, they are not. They're
21 well below any of the Army's established risk levels.
22 And the Army has its own set of risk criteria. But
23 then they're also lower than the EPA's established

1 MCLs or maximum contaminant levels for drinking water.

2 So, what these levels are is that,
3 yeah, we had some positive identifications in that
4 well, but they are extremely low and they're so low
5 that they had to estimate the concentrations or they
6 had to estimate the results. And the positive thing
7 is that they are well below any established risk
8 screening level.

9 Of the ten new wells that were
10 installed, we detected VOCs in nine of the new wells.
11 What we saw was a decrease in total VOCs in the wells
12 in the median of the Jacksonville Highway and the
13 church property. And I'll show you those locations in
14 a second. And we saw a large decrease observed in
15 OLF-G12 from the March sampling event.

16 Next slide. And then there was one
17 well, OLF-G47, I'll show you that in a second. It's
18 in the northernmost well cluster. It has a total
19 chlorinated VOC concentration of point zero one zero
20 eight milligrams per liter. Again, this concentration
21 was estimated.

22 Now, you remember the slide I showed
23 you a few back, OLF-G12, same well on the western side

1 of landfill number three. I showed you information up
2 to this date right here. We have already had over a
3 part per million of total VOCs.

4 This last round in June, we're
5 seeing a much lower total VOC concentration and
6 whereas the initial heavy rainfall in the fall of
7 2002, we believe, pushed a slug of higher concentrated
8 material out toward this well, the continued heavy
9 rainfall that we've seen since this spring, primarily,
10 again in May and June, is actually diluting water
11 locally in that well.

12 So, we're actually seeing the heavy
13 rainfall over time do something. And then as it
14 keeps -- as we see the above-normal rainfall, it's
15 actually decreasing the concentrations or diluting the
16 concentrations we're seeing in this well.

17 Again, this is a residuum well.
18 It's shallower, it's exposed, it's closer to the
19 surface, so it's going to respond quicker to surface
20 events such as rainfall flowing into the ground than
21 say a deep well would. And I'm not showing any deep
22 wells here, but in fact we see very little response
23 and change in total VOC concentrations in the bedrock

1 wells, when you compare them to the residuum wells.

2 From a risk standpoint, these are
3 the wells -- of the forty-six sampled, I believe there
4 is nine wells up here where we actually have
5 constituents that exceed our site-specific screening
6 levels and EPA MCLs. And there are really only three
7 compounds that exceed both the site-specific screening
8 levels and the EPA's MCLs. These are trichloroethene
9 and 1,1,2,2-TCA and there is TCE in this well. And
10 then we're also seeing vinyl chloride in a couple of
11 wells down here and over here.

12 Now, I think the TCE MCL, maximum
13 contaminant level, is about point zero zero five
14 milligrams per liter. So, we are seeing some
15 concentrations exceed that.

16 1,1,2,2-TCA actually does not have
17 an MCL, but it has an EPA drinking water advisory.
18 And I believe that's about twenty parts per billion or
19 point zero two milligrams per liter, so we're seeing a
20 couple of exceedences there.

21 And then the vinyl chloride I think
22 is two parts per billion or point zero milligrams per
23 liter. And we only see a couple of locations here and

1 here.

2 MAYOR WILLIAM KIMBROUGH: Josh,
3 according to that one, OLF-7 you show no vinyl
4 chloride and OLF-20 you show that there is some. Is
5 that because of the depth of the well?

6 MR. JOSH JENKINS: Twenty --

7 MAYOR WILLIAM KIMBROUGH: They're
8 right together.

9 MR. JOSH JENKINS: Yeah, twenty is
10 the deeper of the two wells. We are seeing -- we have
11 sampled OLF-G20, we have sampled it before. And we
12 have seen vinyl chloride. And our explanation, what
13 we believe is going on there, is as you get deeper
14 into the groundwater bearing zone, you've got other
15 things going on that are affecting this -- the TCE
16 naturally, it is migrating, it is going from -- it's
17 moving downward in the groundwater zone. And it is
18 degrading over time.

19 And I'm no chemist to really go in
20 and explain much more than that, the degradation
21 process, other than these pathways are well
22 established and published. And we have done no formal
23 research, as far as determining, you know, what the

1 rate of this degradation or anything like that is
2 occurring.

3 If you recall, I showed you what the
4 plume -- what the total VOC plume looked like in
5 May of 2002 in the residuum.

6 MR. PHILIP STROUD: Can I ask a
7 question? Right now would be a good time to ask this
8 question. How fast is this -- what's the rate of flow
9 here in residuum and/or bedrock? How fast is this
10 flowing to the north and northwest, northeast?

11 MR. JOSH JENKINS: I don't have that
12 information available at this time. I know it's slow.
13 It's on the order of about three feet per year is what
14 we've calculated, based on the limited amount of data
15 that we've collected.

16 That's not been a major focus to
17 this point in time of the investigation. You do some
18 testing, but it's not real heavily quantified what
19 we've done to date.

20 MR. PHILIP STROUD: And one more
21 thing along -- do you know what the porosity of the
22 residuum is right now on average?

23 MR. JOSH JENKINS: We have not done

1 any testing on the porosity. We've used published
2 values. When we have calculated our groundwater flow
3 velocities, we have used only published data for clays
4 and silts and fractured bedrock.

5 MR. PHILIP STROUD: Do you know what
6 that is?

7 MR. JOSH JENKINS: I don't have that
8 available, but I can get that to you.

9 MR. PHILIP STROUD: Josh, not just
10 that, it would be the bedrock. And I guess one other
11 question is: What kind of porosity are y'all seeing
12 in the different formations? Anyway, that's just a --
13 we were discussing that the other day and I didn't
14 bring up that question and --

15 MR. JOSH JENKINS: VOC distribution
16 in residuum, if you recall, it appeared as a boomerang
17 in the May 2002 data. We have some additional data
18 points out here. This is a new well at OLF-G40, which
19 was installed to a depth of a little -- around a
20 hundred feet below ground surface. This well down
21 here was installed to a depth of about eighty-five
22 feet or so below ground surface.

23 So, we've got some additional data

1 points. That's extended our plume down here a little.
2 You can see the concentrations are extremely low.
3 They're in the point zero zero one part per million
4 range for total concentrations, total VOC
5 concentrations.

6 Next slide. Bedrock, again, we
7 revised the horizontal extent of the plume map. We've
8 got -- this line right here represents one part per
9 billion and this line right here represents ten parts
10 per billion. Concentrations overall are less than
11 what we saw in 2002, again, for the reasons I
12 previously explained, with the continued heavy
13 rainfall that we've experienced out here.

14 But up here, this is OLF-G47, as I
15 mentioned, this was the one that had the total VOC
16 concentration of point zero one parts per million,
17 milligrams per liter. So, that's why we got this line
18 running right through there.

19 Based upon this information, it
20 appears that we've got a real good handle -- we've
21 defined the horizontal extent of the plume.

22 Next slide. Looking at the big
23 picture where landfill three is, the context of the

1 Weaver supply wells, number two and number three, this
2 is the plume map that you all just saw. Just blowing
3 it up so you've got a larger perspective. This shows
4 you its relationship to the Weaver supply wells. This
5 distance is well over a mile, closer in the order of a
6 mile and a half.

7 Next slide. So, y'all may wonder,
8 what's next? Well, this information, we presented
9 this to the BCT. What we have generally agreed upon
10 the vertical and the horizontal extent of the total
11 VOCs in the residuum and bedrock has been defined and
12 that no further well installation is required on the
13 outsides of the plume.

14 Also, we agreed that the list of
15 wells to sample for the third quarter of 2003, the
16 Army will be sampling that by the end of September,
17 have all these wells sampled. We're going to increase
18 that number from twenty-one -- the list that was
19 sampled in the fall of 2002 and the spring of 2003,
20 that will include that list, plus the ten new wells
21 that were installed earlier this year.

22 And that's it. That's it for this.
23 Are there any questions on this data? Yes?

1 MR. SCOTT BECKETT: When you sample
2 a well, do you take multiple samples from the same
3 well to get some sort of idea of statistical
4 significance for the numbers?

5 MR. JOSH JENKINS: We generally just
6 take a -- we will purge the well, generally, three
7 well volumes, and take one grab sample. We run what
8 we call an internal quality assurance, quality control
9 program, where 10 percent of the samples are -- we
10 will split -- like if we sample forty-six wells,
11 10 percent, four point six or five wells, we'll round
12 up, we'll take duplicate samples from those wells,
13 we'll send them off, we'll call them something
14 completely different, try to fool the laboratory, see
15 if we get the results. We have not really done
16 anything statistically with that data.

17 MR. SCOTT BECKETT: So, you're
18 running a check to make sure --

19 MR. JOSH JENKINS: But we run a
20 check, a laboratory check. We also send blanks that
21 we hide ID numbers on of just the equipment rents
22 blanks and also trip blanks, we just throw one in
23 there, just because it's going along for the ride.

1 And we will run those for the same analysis that we
2 run for the wells, just to see if there is anything
3 that we're doing or that the laboratory is doing that
4 could influence the results.

5 MR. SCOTT BECKETT: And is that
6 pretty much the standard procedure for people sampling
7 wells, just to make sure that the numbers you're
8 getting --

9 MR. JOSH JENKINS: Yes.

10 MR. SCOTT BECKETT: -- you can
11 trust, basically?

12 MR. JOSH JENKINS: Yes. Any other
13 questions?

14 The only other thing I wanted to
15 discuss, bring up -- and this is just kind of tagging
16 it on here at the tail end -- if you all recall, at
17 the last RAB, EPA, Doyle Brittain requested that some
18 of the geologists and hydrogeologists get together and
19 discuss some of the data. Dwight, you had mentioned
20 that there was some difference in interpretation, and
21 so we just wanted to make sure that these differences
22 of interpretations, if they were significant,
23 insignificant, what they were.

1 And I just basically talked about
2 the data with some of the technical people. So, we
3 met last week, the City of Weaver's contractor,
4 geologists representing the Army, ADEM, and the JPA
5 were present.

6 EPA, unfortunately, could not be
7 there. But they have been kept in the loop prior to
8 and subsequent to this meeting. And we've got their
9 buy-in -- we've got their technical person's buy-in,
10 as far as what the results of those discussions were.

11 Again, this was just a discussion.
12 It was really a data transmittal. It provided -- I
13 forgot, Mayor Kimbrough was there, too, and Dr. Steffy
14 was there. But it really just provided an advanced
15 look-see of what the data was, this data that I
16 presented tonight -- what the data shows, and it also
17 gave Dr. Steffy an opportunity to see some of the
18 background work that brought us up to the point where
19 we are now, as far as our geologic and hydrogeologic
20 interpretations.

21 And that's pretty much it. The
22 geology and the hydrogeology were discussed. The
23 sampling results were presented. And I think some of

1 the differences that were discussed, there are some
2 differences in the geologic interpretation,
3 particularly west of landfill three and what the Army
4 has done versus what the City of Weaver has done.

5 It's our understanding, now talking
6 with your consultant, with the City of Weaver's
7 consultant, they are using a different source of
8 published information and unpublished information than
9 the Army is using. And often, when you get three
10 geologists in a room, you're going to get three
11 different interpretations. That's just the way we
12 are. We often agree to disagree. And if the data
13 makes sense, it's like, okay, move on.

14 And basically, what we discussed
15 were that the data that the Army has, it fits the
16 model that we've presented to you all in the past.
17 And as far as influencing the -- as far as the geology
18 differences influencing which way the groundwater flow
19 directions are or the contaminant movement --
20 contaminant location is at this point in time, the
21 differences really aren't significant. And that was
22 pretty much it.

23 And that's all I have.

P.O. BOX 544
OHATCHEE, AL 36271 256-892-0591
FAX 256-892-3001

1 DR. BARRY COX: I just wondered if
2 Dr. Steffy would like to comment on the meeting.

3 DR. STEFFY: Just two points that I
4 gathered from the meeting that we had.

5 MR. JOSH JENKINS: Yes.

6 DR. STEFFY: With the deep aquifer,
7 that you showed the plume going to the
8 north-northeast --

9 MR. JOSH JENKINS: North-northeast.

10 DR. STEFFY: -- we agreed that it
11 looks like it was structurally controlled. There was
12 some sort of faulting or something that's forcing the
13 groundwater to go that direction.

14 MR. JOSH JENKINS: Correct.

15 DR. STEFFY: It's contrary to the
16 regional flow of groundwater for the basin; that is,
17 its regional groundwater flow toward the basin should
18 be to the Coosa River, should be westward.

19 MR. JOSH JENKINS: That's correct.

20 DR. STEFFY: So, that
21 north-northeast trend is a deeper (inaudible) than the
22 regional flow?

23 MR. JOSH JENKINS: Well, it's a

1 local flow.

2 DR. STEFFY: An event -- yeah, it's
3 a local flow.

4 MR. JOSH JENKINS: It's a local
5 flow. So, it would be very -- when you start talking
6 regional versus local, I think you need to be careful,
7 because we only have right here in the vicinity of
8 landfill three and we really don't have -- we haven't
9 considered how the City of Weaver's wells fit into the
10 picture or other deep wells fit into the picture.

11 DR. STEFFY: It's anybody's guess
12 where it's really going to go. I mean, whether it's
13 going to continue north or change to the west.

14 MR. JOSH JENKINS: The Army's
15 data --

16 DR. STEFFY: I think we also agreed
17 that no one really knows.

18 MR. JOSH JENKINS: Right.

19 DR. STEFFY: It's an unknown, right?

20 MR. JOSH JENKINS: Right. And the
21 Army's data is really only as good as the northernmost
22 well, you know, as far as groundwater flow direction,
23 we can really only use that data, because the Army

1 hasn't looked any further out. And at this point in
2 time, it doesn't appear that there is -- based on the
3 extent of the contamination, it doesn't appear that --

4 DR. STEFFY: Well, the extent of
5 contamination -- the word is interesting, because in
6 that last plume, figure that you showed, you had at
7 the outermost contours one part per billion.

8 MR. JOSH JENKINS: Yes.

9 DR. STEFFY: But you don't have any
10 wells beyond that.

11 MR. JOSH JENKINS: That's correct.

12 DR. STEFFY: So, it's actually --
13 could be even further than that, we don't know.

14 MR. JOSH JENKINS: Theoretically,
15 yes.

16 DR. STEFFY: So, the plume could
17 actually be bigger than what you're actually showing?

18 MR. JOSH JENKINS: Correct. And it
19 could be smaller.

20 DR. STEFFY: It could be smaller. I
21 mean, you do have wells --

22 MR. JOSH JENKINS: Smaller.

23 DR. STEFFY: -- defining the --

1 MR. JOSH JENKINS: Well, the one
2 part per billion line could be closer.

3 DR. STEFFY: Yeah, it could, the way
4 you've drawn it on this figure, yes, it could.

5 MR. JOSH JENKINS: It's an
6 interpretation, based on the data we have and based
7 upon what we've seen -- how we've seen the behavior to
8 date.

9 And what we have done, the BCT as a
10 group, we have generally defined to approximately ten
11 parts per billion, because extending it farther out
12 that extra level of effort, at this point in time, is
13 going to be a -- would be a -- you know --

14 DR. STEFFY: Too much?

15 MR. JOSH JENKINS: Well, I don't
16 know if it's too much or not, but it would be a bigger
17 effort. And then the question comes to the BCT,
18 what -- you know, what do you define to at ten parts
19 per billion has been the general agreement with the
20 work we've done in the past. And that's how we've
21 carried over to landfill number three.

22 DR. STEFFY: So, is it part of your
23 job then to look at the future, forty years from now?

1 MR. JOSH JENKINS: Not to date, no.
2 Right now we've just been tasked to define the nature
3 and extent.

4 DR. STEFFY: That's going to be some
5 other consultant coming up.

6 MR. JOSH JENKINS: I think the --
7 you know, as far as the --

8 MR. RON LEVY: I'll speak to that,
9 Josh, in just a moment. Does anybody got anymore
10 technical questions?

11 MAYOR WILLIAM KIMBROUGH: Let me say
12 that -- are you through?

13 DR. STEFFY: No, I'm not done, but
14 go ahead.

15 MAYOR WILLIAM KIMBROUGH: Our
16 hydrogeologist was satisfied with the information that
17 he saw -- and we had a discussion, but with the
18 stipulation, because of what you've already mentioned,
19 we will be requesting a continuation of monitoring of
20 both groundwater and surface water.

21 And the discussion, the reason for
22 that is there is some concern about the northward
23 movement, is because we have been advised we are in

1 the process of identifying a third water source and we
2 have been -- it has been identified that we should go
3 north of our city limits towards Jacksonville. And so
4 there is some concern with that, but there is no
5 concern with the data that they have provided at this
6 time.

7 We've got the -- we're looking --
8 because of the monitoring, the continuous monitoring,
9 then that's looking into the future. So, that
10 would -- so, that's our standpoint, as far as the
11 meeting that we -- he was satisfied even though theirs
12 was conflicting, as far as some of the materials that
13 were used, he is very satisfied with what they've
14 identified, at this point. And this was his
15 recommendation to us, that we request --

16 DR. STEFFY: I think somebody needs
17 to address where is it going to be fifty years from
18 now? If you're not going to fix the landfill --

19 MR. RON LEVY: And I'll talk to that
20 in just a moment, Dr. Steffy. If you've got another
21 question on a technical nature --

22 DR. STEFFY: Yeah. Just one other
23 comment about degradation. Even though contaminants

1 are degrading, it doesn't mean the toxicity is being
2 reduced, because the toxicity of vinyl chloride is
3 much higher than TCE. And you may be misleading
4 people by saying, no, it's degrading.

5 Well, yes, it's degrading, but the
6 toxicity is actually getting higher for the
7 contaminants. So, you've got to be careful presenting
8 that to the public, I think, in my view, you got to be
9 a little bit careful; that is, the metabolite of vinyl
10 chloride that has a higher toxicity than TCE.

11 MR. RON LEVY: The vinyl chloride is
12 not the final form. It will continue to degrade
13 itself, am I correct?

14 MR. JOSH JENKINS: Yeah. The
15 degradation pathway is complete, it will degrade
16 itself, making, I want to say, innocuous -- it goes
17 from vinyl chloride to something that is like ethane
18 or ethene or something like that.

19 DR. STEFFY: The other thing --

20 MR. JOSH JENKINS: Yeah, I agree.

21 DR. STEFFY: The other thing I think
22 that came out rather important at our meeting was the
23 shallow water -- the shallow water table, the

1 residuum; that is, more information is needed about
2 the -- what's happening to the water table at the
3 landfill, itself, that came out at the meeting. I
4 think that's rather important.

5 We don't know enough -- it looks
6 like the landfill is releasing at a point. That's
7 kind of interesting. So, you need to know more about
8 the water table at the landfill, itself, to kind of
9 get a handle on that source of -- that point source of
10 pollution coming out of the landfill.

11 That was brought up at the meeting.
12 I thought it was rather important.

13 DR. MARY HARRINGTON: Are we done?

14 DR. STEFFY: Yeah. Sorry.

15 MR. RON LEVY: Let me just -- your
16 point about the long-term impact of all this is a good
17 point. And the Army obviously has a commitment to
18 that long-term requirement. But as most of you know,
19 this particular site is part of a phase one
20 privatization effort with the JPA, which includes a
21 component for a remediation. In this case I think
22 they're looking at some sort of in-situ (phonetic)
23 remediation and a long-term monitoring.

1 And I think EPA defines long-term
2 monitoring in excess of thirty years. So, there is
3 funding in there to do that, as well.

4 I can't tell you the specifics,
5 because I don't know really the specifics on how
6 Matrix plans on addressing it, other than to know that
7 they're funded for a remedial action there, as well as
8 the long-term monitoring. And with the wells that the
9 Army has got in, they'll use that.

10 There is also some additional
11 funding for if they need to do some additional wells,
12 but the Army's plan is to turn this piece, as well as
13 several other sites, over to the JPA and to complete
14 the action. We will finalize a document, a report of
15 finding I believe we will call it, and hand that data
16 over to the JPA and their contractors to complete the
17 remedial effort.

18 And as we talked about at the
19 previous RAB meetings, that is also going to be
20 something that's open to the RAB, as well. So, they
21 will have -- they will, through this RAB, be coming to
22 the RAB, addressing what they're doing out there and
23 showing their effort.

1 MR. PETE CONROY: Who represented
2 the JPA at this meeting?

3 MR. RON LEVY: Linda Baucom, I think
4 would --

5 MR. JOSH JENKINS: Linda Baucom and
6 Steve Young.

7 MR. RON LEVY: She's their
8 geologist. Good folks.

9 DR. MARY HARRINGTON: Additional
10 questions?

11 MR. RON LEVY: I did want to mention
12 one other thing. This will be the last time we'll
13 probably see Josh. Josh has been recognized by
14 another company for his superior work and he's going
15 to go to work for another company. What's the name of
16 this company now, Josh, again?

17 MR. JOSH JENKINS: Mac Tech.

18 MR. RON LEVY: Say again.

19 MR. JOSH JENKINS: Mac Tech.

20 MR. RON LEVY: Mac Tech. All the
21 work he's done at McClellan obviously went noticed.
22 But there are other folks like Don and whatnot from
23 Shaw that I'm sure will be here to address technical

1 issues for us in the future. Thank you, Josh.

2 DR. MARY HARRINGTON: Thank you for
3 the report. We'll move on into our new business. And
4 at this time, we'll get agency reports from those that
5 are present. In the order presented.

6 MR. PHILIP STROUD: ADEM's entire
7 computer system shut down today. We couldn't print,
8 we couldn't get in, so, I don't have it with me.
9 However, I did have it last Friday.

10 MR. PETE CONROY: You guys got the
11 worm?

12 MR. PHILIP STROUD: No, I don't know
13 what it is.

14 DR. MARY HARRINGTON: It's the worm.

15 MR. PHILIP STROUD: Whatever it is,
16 I mean, completely internet and everything is down.

17 DR. MARY HARRINGTON: That's the
18 worm, you just don't know about it.

19 MR. PHILIP STROUD: They may have
20 shut it down for that reason, to make sure we're not
21 getting it. I don't know what the deal is, but we
22 were paralyzed today.

23 DR. MARY HARRINGTON: They got to

1 put the patch on it. We went through it all of last
2 week.

3 MR. PHILIP STROUD: So, apparently,
4 something is going on. I don't know, it's -- anyway,
5 it was very, extremely frustrating today.

6 But I can tell you generally what's
7 going on. We're just reviewing several reports
8 between Mark Harrison and Brandi Little, I know
9 they're reviewing somewhere in the order of maybe ten
10 to fifteen reports. And they are at completion and
11 under senior review.

12 I've completed the review of the
13 SLERA. That's the screening level ecological risk
14 assessment. And it's pending EPA review. I'm waiting
15 on their comments to come in. And so we're looking at
16 that right now. That's been an extremely extensive
17 review. It's about a four thousand page document.
18 So, I'm kind of glad to get that --

19 DR. MARY HARRINGTON: How many
20 pages?

21 MR. PHILIP STROUD: About four
22 thousand pages. -- I'm glad to get that over with.

23 And so, also, I've completed the

1 review of the Super FOST Number Three, the GS
2 (phonetic) Warehouse FOST. These are the finals. And
3 they're under -- we're now talking -- to get that --
4 to make that final, a final letter.

5 The FOSET, the final FOSET, I've
6 completed my review on that. I'm looking at the
7 last-minute details on that. And I've got to get with
8 my senior reviewers on that. So, this is -- we're in
9 really good shape on all of those.

10 And, of course, there has been
11 numerous phone calls on the privatization. That's a
12 constant and a given.

13 And then I finished up with the
14 eastern bypass removal report. It's in the Army's
15 hands and they're making resolution on those comments
16 right now.

17 And then there is several other
18 reports I'm going through and I'll be working with
19 Lisa real soon to get my new set of priorities
20 probably within about a week or so.

21 So, I don't know when this virus is
22 going to -- whatever it is that's hitting our
23 computers, I don't know when we're going to be back

1 up. I'm hoping tomorrow. So, I'll get back the
2 agency report as a follow-up to this.

3 I have talked with EPA. I'm not
4 speaking for him, but I do know that they're in hot
5 pursuit of the SLERA and they're working on that. I
6 think they have a couple more weeks on that left.

7 And Doyle and I have been kind of
8 off and on, talking about the Super FOST GSL
9 (phonetic) Warehouse, the FOSET, and a variety of
10 other things. But I don't know exactly where he is
11 with all that right now.

12 DR. MARY HARRINGTON: No one is here
13 from JPA?

14 MR. RON LEVY: Miki said she
15 couldn't -- she -- her daughter or son -- school,
16 something to do with school.

17 MR. PETE CONROY: I guess Ed and I
18 could talk just a little bit about early transfer.
19 And the process has been moving rapidly and it's been
20 a Herculean effort on behalf of the Army and the JPA
21 and the contractors. And everything seems to be on
22 schedule.

23 And September 15th has been set

P.O. BOX 544
OHATCHEE, AL 36271 256-892-0591
FAX 256-892-3001

1 aside as a date to have a ceremony to announce the
2 details. Mark it on your calendar. And, Ed, anything
3 to add to that?

4 MAYOR KIMBROUGH: Meeting today,
5 there are two deeds that have been transferred, I
6 think, this week; one is deed ten and eleven
7 (inaudible) is the golf course and I'm not sure of the
8 other one, but they will be transferring that
9 property.

10 MR. PETE CONROY: Next JPA meeting
11 is Tuesday morning. All are invited.

12 MR. PHILIP STROUD: I may want to
13 make it to that one. Tuesday, what time?

14 MR. PETE CONROY: 7:00.

15 MAYOR KIMBROUGH: 7:30.

16 MR. PHILIP STROUD: I'm sorry,
17 tomorrow?

18 MAYOR KIMBROUGH: No. Next week.
19 Next Tuesday.

20 MR. PETE CONROY: Next Tuesday.

21 MS. DONNA FATHKE: Hopefully, the
22 air-conditioning will be running by then.

23 MR. PETE CONROY: Well, we've been

1 meeting in (inaudible), so, still, hopefully, the
2 air-conditioning is running.

3 MR. RON LEVY: They're meeting at
4 (inaudible)?

5 MAYOR KIMBROUGH: The air-conditioner
6 went out.

7 MR. JOE DOYLE: The air-conditioning
8 is out.

9 DR. MARY HARRINGTON: Okay, there is
10 nothing for technical review, anything, we didn't
11 connect.

12 MR. PETE CONROY: We had just
13 mentioned that we're going to get together just as
14 soon as we have some time to coordinate with the TOSC
15 project.

16 DR. MARY HARRINGTON: Okay. Action
17 summary.

18 MR. RON LEVY: I don't really -- I'm
19 not going to do what I normally do. I'd really rather
20 just take questions, as it relates to the action
21 summary. This does go out early, so everybody has a
22 chance to see it. And you've heard people mention
23 things that have already been talked about, the

1 eastern bypass Philip talked about, the deeds that
2 Mayor Kimbrough mentioned.

3 We, the Army, are really working
4 hard, as Pete said, at trying to make all this happen
5 by the September 15th deadline on both the deed
6 transfer and the privatization piece. The signing of
7 the ESCA, which is the environmental services
8 cooperative agreement, lots and lots of effort is
9 going into that and making sure that everybody's got
10 it straight, the language is correct, that all
11 interests are taken care of, and that the funding is
12 there.

13 And I do want to mention something
14 to you, because of the funding that's going into it --
15 it's a significant number -- I did need to tell you,
16 the majority of work that's occurring next year from
17 the Army's perspective is minimal. We don't have -- I
18 don't have a whole lot of funding coming to me because
19 it was all earmarked for the privatization phase one.

20 So, from the Army's side of the
21 house, you're definitely going to see a decrease in
22 the amounts of work that comes through us from an
23 investigative -- at least new work, specifically, I

1 should say. We will try to close out as much of the
2 characterization pieces for those that are not in the
3 phase one as possible, you know, working with Philip
4 and Doyle from EPA and get to those issues. But there
5 is not -- very little money in there for the Army to
6 do continued work on the parcels that are still
7 remaining.

8 And also, so you understand, there
9 is a phase two to this. And so those parcels will
10 eventually or those sites will eventually become part
11 of this amendment to this ESCA so that they get picked
12 up as part of the privatization. So, they're trying
13 to withhold as much of the funding available to us --
14 us being the Army -- so that it can be provided to the
15 community or to the JPA from a clean-up standpoint.

16 MR. PETE CONROY: But it would be
17 safe to say there would be no net loss of service?

18 MR. RON LEVY: Certainly not. And
19 certainly, you know, the amount of money that's being
20 put in this is a lot more than we would have ever seen
21 from the Army's side of the house.

22 MAYOR KIMBROUGH: What is your
23 budget this year?

1 MR. JOE DOYLE: Pardon?

2 MAYOR KIMBROUGH: What is the budget
3 this year for y'all?

4 MR. JOE DOYLE: That has not been
5 determined.

6 MAYOR WILLIAM KIMBROUGH: I'm
7 talking about this past year.

8 MR. JOE DOYLE: Oh, I'm going to
9 have to get back to you on that. I'll tell you what,
10 I've been more concerned about next year's budget and
11 working that than concerned about this year's, other
12 than obligating as much as can be obligated, so I
13 don't lose it. But it's being swept up and it's being
14 swept up at all BRAC installations to fund this
15 privatization piece. So, it's going to be a very lien
16 year next year, with the thought that '05 and the next
17 round of BRAC at '05 should be a much better year, in
18 terms of money being available, at least from the
19 transition force's perspective on those areas where we
20 will continue to have the cleanup responsibility,
21 whether it be the bypass, the Charlie area EE/CA or
22 whatever.

23 Which leads me to a -- I wanted to

1 make a comment here. Mayor, you asked a question I
2 believe at the last meeting and I wasn't present, but
3 one of the staff told me that you had asked a question
4 about the status of the Charlie area EE/CA. And I'm
5 prepared now to tell you what's going on.

6 The Charlie area EE/CA is
7 essentially complete. It's not out on the street for
8 public comment. And the reason being is that as part
9 of the letter of transfer from Department of the Army
10 over to Department of Interior, we have a piece in
11 there that essentially says that we need the
12 concurrence from Fish & Wildlife Service,
13 Department of Interior, relative to clean-up levels
14 and clean-up processes that are occurring in the
15 Fish and Wildlife area.

16 As you all recall, the Army retains
17 the responsibility for all the environmental
18 remediation, notwithstanding that the transfer has
19 already occurred.

20 To that end, I had a sit-down last
21 week, a very productive sit-down, with
22 Fish & Wildlife Service. From my perspective, I want
23 to get a buy-in with regard to clean-up levels with

1 Fish & Wildlife Service before we take it to the
2 public.

3 And so, we're just -- it's a
4 learning curve. And the first one out of the shoot is
5 literally the Charlie area EE/CA. That's the first
6 big one that's got to be addressed. So, I'm working
7 with the Fish & Wildlife staff, not just here locally,
8 but also on their regional level.

9 And basically, the first meeting was
10 information sharing. I need to know exactly what
11 Department of -- or Fish & Wildlife Service needs to
12 do, whether they need a clean-up level, a surface
13 clearance, a clearance to a foot, whatever it might
14 be, as well as I guess from a status standpoint, I
15 believe we've previously briefed this, we're -- we
16 should be next couple of months, prepared to start
17 doing a clean-up to depth with regard to the
18 high-intensive-use areas within the Fish & Wildlife
19 area, as well as the firebreaks and roads associated,
20 so that they can get moved forward on their fire plans
21 and actually doing their controlled burns.

22 Although, some areas right now are
23 -- there is no restrictions with regard to that. And

1 some of those areas they're free to utilize.

2 But approximately a third of the
3 land is still under some type of a land-use control
4 until remediation, both HTRW and UXO is complete. So,
5 to give you a definitive time frame, I cannot at this
6 time. I'm shooting for approximately the first of the
7 year, getting a consensus or concurrence, whatever you
8 want to call it, from Fish & Wildlife Service with
9 regard to UXO clean-up levels so I can get that
10 document out on the street.

11 But like I said, this is a -- it's a
12 big document. Obviously, it's an important one. It's
13 kind of unfortunate, I don't have something small to
14 use kind of as the precedent. We're not even sure of
15 who the approval levels are, with regard to
16 Fish & Wildlife Service. So, there is going to be a
17 big learning curve, and that's a big document to do it
18 on, but it's also probably the toughest nut to crack
19 from a land-use perspective of
20 Fish & Wildlife Service.

21 So, the best I can tell you is
22 we're -- and that's just a mark on the wall. Don't
23 hold me to it, please, but we're looking to get some

1 type of resolution some time around the first of the
2 year. And the first -- at least the first -- in the
3 winter months of this year so we can start moving
4 forward with the thought that in '05, I'll have some
5 money to actually move forward with the clean-up.

6 Any questions with regard to that?
7 Okay, thank you.

8 DR. MARY HARRINGTON: I think we're
9 now down to the TAPP report, if we have one.

10 MR. RON LEVY: Well, there wasn't
11 any activity on TAPP last month, so we're still at
12 three hundred seventy-five hours left in Mr. Grant's
13 contract, because, Ron, you haven't sent me an invoice
14 on that, correct? You hadn't sent another invoice on
15 that, right?

16 MR. RON GRANT: I sent you an E-mail
17 today -- I --

18 MR. RON LEVY: I guess I hadn't
19 seen it, then.

20 MR. RON GRANT: I used one and a
21 quarter hours just reviewing the minutes and so forth,
22 the last meeting, and putting together a summary of
23 that and an invoice.

1 MR. RON LEVY: I did not get a
2 chance to read my E-mails, so if it's in there, we'll
3 pick it up next month.

4 MR. RON GRANT: I appreciate being
5 off last time. I was basking in Orlando and I had
6 breakfast with Cinderella and my grandchildren.

7 DR. MARY HARRINGTON: Those things
8 are important. Mr. Schmitter is with us tonight. And
9 I know -- I don't think anybody has contacted you. We
10 got your E-mails, but I have been on a down trail;
11 since I was with you all last, I turned fifty, or
12 shall I say, I celebrated the tenth anniversary of my
13 fortieth birthday.

14 And I have not been able to catch up
15 with anything. You all are talking about getting
16 money. We're just trying to get through this year.
17 And, you know, for us, our year ends
18 September the 30th. And it's just been a basket case,
19 because we're spending money we don't have, hoping
20 that we do get it, knowing that we're not going to.

21 So, hopefully, with the new one,
22 Pete will keep me responsible and we'll do a little
23 bit better, but I have not been able. And I do

1 apologize, but it's been an awful beginning of the
2 school year.

3 Our upcoming programs? What do you
4 want? What do you need? Where will we be?

5 MR. RON LEVY: We're looking for
6 some input from the RAB. There are some things that
7 we kicked around, but we're really looking for some
8 input from the RAB, in terms of what you would like to
9 hear about, see, discuss.

10 I would just throw out one of the
11 things that we are discussing and that's to give you a
12 feel for -- because I don't think most RAB members
13 really know what sites are being looked at by -- as
14 part of this ESCA by the Army, what sites are really
15 being looked at by the JPA. So, we may be able to
16 throw up a map, kind of talk to you a little bit about
17 that, maybe even have the JPA come in here and talk to
18 you a little bit about their role -- their contractor,
19 what their role in the investigative process for those
20 sites is going to be.

21 MR. JOE DOYLE: In fact,
22 coincidentally, the next meeting is September 15th.
23 So, as we get closer to that date, we'll have a better

1 feel if this is all systems are go. And Ron and I
2 will probably make a decision probably about the first
3 of September, if it looks like everything is going to
4 fall into place, and we'll be prepared to provide a
5 program as to what we can expect as a result of
6 privatization and specifically the phase one
7 properties involved in that.

8 MR. PETE CONROY: That would be an
9 appropriate theme, especially, based on that
10 coincidence.

11 MR. RON LEVY: Any other thoughts
12 about upcoming information you would like to hear
13 about, discussions, issues? If you get any thoughts
14 during the week or the month, you can E-mail Brenda or
15 myself. Everybody's -- and let us know and we'll look
16 to it, try to set it up. Or pick up the phone and
17 give us a call.

18 MR. PETE CONROY: It might be a
19 reasonable thing to have Fish & Wildlife Service, in
20 the September, October time frame, give us an update
21 in terms of where they are in their thinking.

22 MR. JOE DOYLE: Be more than happy
23 to. I'm thinking it might be more -- let's slip that

1 into October, Pete, would be my suggestion. With
2 really just getting their feet on the ground, let's
3 give them a month or so. They're working on all those
4 plans that they have to -- right now they have to get
5 out for public comment, the management plan, the fire
6 plan.

7 But I'll talk to Steve about that.
8 And if it's okay with you and he says he would like
9 another month beyond that, with your agreement of the
10 group here, we'll just -- either October or November.
11 But I'll give them some --

12 MR. PETE CONROY: Steve Miller is
13 the new refuge manager. And I don't know how many of
14 y'all have met him, but it would be a terrific thing
15 to have Steve.

16 DR. MARY HARRINGTON: Some of us met
17 him at the loblolly festival, as they call it.

18 Let me remind particularly myself
19 that the next meeting is September 15th, at it will be
20 at The Church of the Covenant Presbyterian, which is
21 401 East Lenlock Lane. File that in your memory bank.

22 Brenda will always tell us, but even
23 when she does, I'm so used to coming here, I get here,

1 nobody is here but me --

2 MR. SCOTT BECKETT: And me.

3 DR. MARY HARRINGTON: And it hits
4 me. So, we will be on Lenlock Lane next meeting.

5 Do we have any audience comments?

6 For our new board members, I know
7 you all came on last time and I didn't get to
8 officially say welcome. I'm sure that they welcomed
9 you very heartily and told you how much money you were
10 going to make. I'm real pleased.

11 MR. RON LEVY: Let us know when you
12 get your first check.

13 DR. MARY HARRINGTON: I'm real
14 pleased that they shared all that information with
15 you. Thank you for your time.

16 If we have nothing else, do we hear
17 a motion to adjourn?

18 MR. PETE CONROY: So moved.

19 MS. DONNA FATHKE: Second.

20 DR. MARY HARRINGTON: We are
21 adjourned.

22 (Whereupon, the meeting was adjourned at 7:50 p.m.)

23

C E R T I F I C A T E

STATE OF ALABAMA)

CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, a Court
Reporter and Notary Public in and for The State of
Alabama at Large, duly commissioned and qualified,
HEREBY CERTIFY that this proceeding was taken before
me, then was by me reduced to shorthand, afterwards
transcribed upon a computer, and that the foregoing is
a true and correct transcript of the proceeding to the
best of my ability.

I FURTHER CERTIFY this proceeding
was taken at the time and place and was concluded
without adjournment.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

IN WITNESS WHEREOF, I have hereunto
set my hand and affixed my seal at Anniston, Alabama, 5
on this the 26th of August, 2003.

SAMANTHA E. NOBLE
Notary Public in and for
Alabama at Large

MY COMMISSION EXPIRES: 11-19-2005.

P.O. BOX 544
OHATCHEE, AL 36271
256-892-0591
FAX 256-892-3001