

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

\* \* \* \* \*

Taken before SAMANTHA E. NOBLE, a  
Court Reporter and Commissioner for Alabama at Large,  
at Building 215, Fort McClellan, Alabama, on the  
17th day of October, 2005, commencing at approximately  
5:00 p.m.

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

R E P O R T E R ' S I N D E X

CAPTION SHEET . . . . .	1
REPORTER'S INDEX . . . . .	2
RESTORATION ADVISORY BOARD. . . . .	3-60
CERTIFICATE . . . . .	.61-62

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1 MR. GARY HARVEY: As it is right  
2 now, we don't have a quorum. We'll go ahead and call  
3 the roll. Dr. Steffy is not going to be here today.  
4 He's excused. So if you would just go ahead and answer  
5 your name, please.

6 Cheryl Bragg?

7 MS. CHERYL BRAGG: Here.

8 MR. GARY HARVEY: James Buford?  
9 Phillip Burgett is excused.

10 MR. DEL FERGUSON: I'm here in place  
11 of him.

12 COURT REPORTER: And your name,  
13 please, sir?

14 MR. DEL FERGUSON: Del Ferguson.

15 COURT REPORTER: Thank you.

16 MR. GARY HARVEY: Monty is here. I  
17 saw him.

18 MR. MONTY CLENDENIN: Here.

19 MR. GARY HARVEY: Pete Conroy?

20 Dr. Cox?

21 DR. BARRY COX: Here, sir.

22 MR. GARY HARVEY: Mr. Elser?

23 MR. JERRY ELSER: Here.

1                   MR. GARY HARVEY: Curtis Franklin  
2           not here, a pretty obvious one.  
3                   James Hall, I see he's excused.  
4           Dr. Harrington said she would be late.  
5           Robert Jackson?  
6                   MR. ROBERT JACKSON: Here.  
7                   MR. GARY HARVEY: I saw him over  
8           here. Ed Kimbrough? Joe McCary is excused,  
9           Jim Miller is excused, and Rodney is sitting in for  
10          him. Penn Wilson?  
11                  MR. PENN WILSON: Here.  
12                  MR. GARY HARVEY: And Greg Schank is  
13          not here.  
14                  So, Doyle Brittain? No. Ron Levy  
15          is here.  
16                  MR. RON LEVY: Here.  
17                  MR. GARY HARVEY: Brandy Little?  
18                  MS. BRANDY LITTLE: Here.  
19                  MR. GARY HARVEY: And LaBarron,  
20          right? Is it LaBarron Rudolph?  
21                  MR. LaBARRON RUDOLPH: Yes, sir.  
22                  MR. GARY HARVEY: He's here. And  
23          James Buford is here.

1 Still no quorum, right, Brenda?

2 MS. BRENDA CUNNINGHAM: Right.

3 MR. GARY HARVEY: We don't have a  
4 quorum, so I don't believe we can do any official  
5 business, but I don't know how much official we have  
6 except approval of the minutes.

7 I guess we'll start off first with  
8 introduction of guests. We'll go around the table and  
9 start over here. Just go around and let everybody  
10 know who you are.

11 MR. RON GRANT: I'm Ron Grant, the  
12 TAPP contractor.

13 MS. KAREN PINSON: Karen Pinson,  
14 Transition Force.

15 MR. LISA HOLSTEIN: Lisa Holstein,  
16 Transition Force.

17 MR. LEE COKER: Lee Coker,  
18 Corps of Engineers.

19 MR. STEVE MORAN: Steve Moran,  
20 Shaw Environmental.

21 MR. DAN COPELAND: Dan Copeland,  
22 Corps of Engineers.

23 MR. PAUL JAMES: Paul James,

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1 Fort McClellan, Army National Guard Training Center.

2 MR. RANDY McBRIDE: Randy McBride  
3 with Shaw Environmental.

4 MR. TROY WHITON: Troy Whiton,  
5 Shaw Environmental.

6 MS. BRENDA CUNNINGHAM:  
7 Brenda Cunningham, Transition Force.

8 MR. JEROME ELSEER: Jerome Elser.

9 MR. GARY HARVEY: Pardon?

10 MR. JEROME ELSEER: Jerome Elser.

11 MR. GARY HARVEY: Okay.

12 MS. CHERYL BRAGG: Cheryl Bragg.

13 MR. GARY HARVEY: Just for the  
14 people here in the back.

15 MR. RODNEY OWENS: Rodney Owens.

16 MR. PENN WILSON: Penn Wilson.

17 MR. LaBARRON RUDOLPH:  
18 Labarron Rudolph with ADEM.

19 MS. BRANDY LITTLE: Brandy Little,  
20 ADEM.

21 MR. RON LEVY: Ron Levy.

22 MR. GARY HARVEY: Gary Harvey.

23 MR. MONTY CLENDENIN:

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1 Monty Clendenin.

2 MR. JAMES BUFORD: James Buford.

3 DR. BARRY COX: Barry Cox.

4 MR. BOB JACKSON: Bob Jackson.

5 MR. DEL FERGUSON: Del Ferguson.

6 MR. GARY HARVEY: Thank you.

7 We can't approve the minutes, but  
8 they are in your books, so you can read them for next  
9 time.

10 Does anybody have any additions they  
11 want to put in the minutes? Just tell us before you  
12 leave and look at them. We won't approve them because  
13 we don't have a quorum.

14 New members, is it one?

15 MS. BRENDA CUNNINGHAM: Just one.

16 MR. GARY HARVEY: Next, old  
17 business, applicants for RAB members, there is a form  
18 in your book, and if you have any suggestions, we  
19 would like to put the name down and give it to Brenda,  
20 and we will contact them.

21 You've not gotten any since last  
22 meeting, have you, Brenda?

23 MS. BRENDA CUNNINGHAM: No, sir.

1                   MR. GARY HARVEY: So, if you have  
2                   any suggestions, if you would, just put a name down  
3                   there. If you know a number or an e-mail, give it to  
4                   Brenda, and we'll contact them.

5                   The next item on the program and the  
6                   first up is going to be Ron Grant. This is something  
7                   some of the members asked for?

8                   MR. RON LEVY: Yeah, this something  
9                   that -- this is one of the many sites that we're at  
10                  the RI stage of the investigation. I'm going to let  
11                  Ron talk to you, but essentially, it's a series of  
12                  ranges along Iron Mountain Road but have been through  
13                  an RI investigation, it's at the draft stage now. Ron  
14                  is going to present to you that document, in terms of  
15                  the findings in that document, and take any questions  
16                  about that document.

17                  We've also got representatives here  
18                  from the Corps and from Shaw. So, if you've got any  
19                  specific questions about contaminants at the site,  
20                  site conditions, let us know, and we'll do what we can  
21                  to address your questions.

22                  MR. RON GRANT: Ready?

23                  MR. RON LEVY: Go ahead, Ron.

P.O. BOX 544  
OHACHEE, AL 36271  
256-892-0591  
FAX 256-892-3001



1 MR. RON GRANT: Okay. I want to  
2 make sure you can hear me. It sounds like you can.

3 I've completed my review of the  
4 draft remedial investigation for the  
5 Iron Mountain Road ranges.

6 Let's go ahead and go to the next  
7 slide.

8 The primary objectives of the  
9 remedial investigation are stated there. You know,  
10 I'm not going to bore you to death by reading the  
11 charts, you know, unless I think there is some word of  
12 explanation that I can add to what's on the chart, you  
13 know, I'll throw some of that in as we go through  
14 there.

15 But any time, if you have a  
16 question, if something is unclear, by all means, we'll  
17 service that at the time, and be willing to back up,  
18 if necessary.

19 But you can see the objectives  
20 there. I think that pretty well speaks for itself.

21 Next slide, Brenda.

22 Okay. This just lists the various  
23 ranges and the parcel numbers. If you'll notice

1       those, there are actually seven parcels.

2       One of those is unique, in that the very last parcel  
3       on there is an above-ground storage tank, as opposed  
4       to being a range.

5                       The parcels that have a Q by them --  
6       and there are -- a Q only that is, there is four of  
7       those, that means that they have no record of storage,  
8       release, or disposal activity. However, chemicals of  
9       potential concern may be present due to historical  
10      range activity.

11                     And those parcels that have an X  
12      designation have the potential for UXO being present.

13                     This just shows the approximate  
14      locations of the ranges, relative to one another.  
15      They're located in the western portion of the main  
16      post. This map that you see over here, showing the  
17      main post, they're located -- Iron Mountain Road runs  
18      almost north and south, right in this area right here,  
19      just south and east of Summerall Gate, and the ranges  
20      are located on the eastern side of that road.

21                     MR. GARY HARVEY: And that's the  
22      road you take if you're going to Lake Yahoo, for the  
23      ones that don't know the names of the roads. If

1       you're going up to Yahoo, you take Iron Mountain Road.

2                       MR. RON GRANT:  Another thing you  
3       need to note on this chart that's on the screen  
4       there, note that four of the parcels -- there's seven  
5       of them total -- but four of them are collocated.  If  
6       you'll notice the one at the upper left-hand side of  
7       the chart, Parcels 222QX and 69Q will occupy  
8       essentially the same plot of ground.  One is, you  
9       know, within the confines of the other.

10                      And then down near the bottom of the  
11       chart, Parcel 71Q, which is the Range 13 area, is  
12       where the above-ground storage tank is located.  And  
13       that's for Parcel 176 (7).

14                      Everybody see and understand that?  
15       Okay.

16                      They will be -- it's important you  
17       understand that, because some of them will be  
18       discussed at the same time, since they're talking  
19       about essentially the same plot of ground, as opposed  
20       to seven different perhaps discussions, as I go  
21       through the rest of the report.

22                      Okay.  Next slide.

23                      Previous investigations, I think

1       that's fairly obvious, you know, what those are all  
2       about. Just one thing that this RI does, it summarizes  
3       the results of all the previous studies that have been  
4       done. So, really, we'll touch on all the data that's  
5       been gathered in the previous studies and any new data  
6       that was gathered in the remedial investigation.

7                       Next slide.

8                       Okay. There's going to be a lot of  
9       pieces of information on these next pages. There is  
10      actually three slides covering this information  
11      describing the individual ranges.

12                      And you'll notice the first piece of  
13      information up there is addressing Parcel 69Q and  
14      Parcel 222QX, and you'll see Parcel 69, too, the  
15      timeframe that it was used, the area involved, and the  
16      weapons used. And that same area, that same one point  
17      seven acres, you'll see the information there for  
18      Parcel 222QX.

19                      Any question about any of that?

20      Okay.

21                      Same things presented then for  
22      Range 19. That's called Parcel 75Q, and you'll see the  
23      period of time it was used, the number of acres

1       involved, and the type of weapons that were used  
2       there.

3                       The last item listed on the weapons  
4       used there is referring to the fact that that area was  
5       used as an impact area for thirty-five millimeter  
6       projectiles, as opposed to being some hand-held or  
7       shoulder-fired weapon.

8                       Next slide.

9                       Notice again, the first item on this  
10      chart is collocated ranges, the Range 13 and the  
11      above-ground storage tank that was there. And you'll  
12      see the same information, the timeframes that were  
13      used, the area, and the weapons used.

14                      That above-ground storage tank at  
15      Range 13 was originally used as a heating oil tank for  
16      an office that was located there at Range 13. During  
17      the environmental baseline study, which was referenced  
18      earlier, it was reported to be leaking, and that's the  
19      reason it has no Q designation.

20                      If you'll notice, everything else  
21      has either a Q or a QX designation.  
22      But since this one does have a report of a release,  
23      that's the reason the Q is not there. It makes it

1       unique among the seven areas.

2                       Okay. Next slide.

3                       And then this is the last of the  
4       ranges mentioned. You see the same information  
5       mentioned there, timeframe used, weapons used, area  
6       involved.

7                       Next slide.

8                       You know, identified the areas and,  
9       you know, generally the timeframes and the area, those  
10      kind of things. Now, we'll proceed to the point where  
11      we do some walkovers, some testing to try to -- and  
12      set up a program and try to see what kind of  
13      contamination exists in those areas.

14                      And so, you can see the field  
15      investigations that are included, just environmental  
16      sampling analysis, installation of groundwater  
17      monitoring wells. Easy for me to say.

18                      There were actually eight wells  
19      installed. Only six of those will be sampled. I'll  
20      point that out later, when we get to some of the  
21      actual data, but two of them just had an insufficient  
22      amount of water in them to be sampled.

23                      You see the number -- the type of

1 samples that are collected, you know, surface soil,  
2 subsurface soil, groundwater, surface water, and  
3 sediment samples. Those parens out to the side, that  
4 BGS is below ground service is what that stands for,  
5 if you have any question about that.

6 And then sample locations, that kind  
7 of reminded me of, you know, some people use this  
8 acronym: MBWA, management by walking around. And  
9 that's essentially what they did to determine the  
10 sample locations, they went out there and walked  
11 around and saw, you know, visual evidence of  
12 contaminants, the bullet fragments, and of course,  
13 they had historical documents that, I'm sure master  
14 plan documents, that define the confines of some of  
15 the range areas.

16 Next slide.

17 This slide just is a summary of the  
18 sampling events. If you'll notice the left-hand  
19 column shows the date of the sampling event. If you  
20 skip all the way over to the next to the last -- I  
21 guess the second column from the right, the area  
22 sampled, that just gives you the name of the  
23 individual ranges that were sampled. And then under

1 sample type, where the Xs are located there, you'll  
2 see the types of samples that were taken from each  
3 one, whether or not it was subsurface, depositional,  
4 subsoil, what have you.

5 And notice also that the comments,  
6 you know, they'll indicate some of the -- at least in  
7 very brief form, the results of some of those -- of  
8 the sampling or the types of samples that may have  
9 been taken.

10 Next chart.

11 This one is a summary of the sample  
12 types and the analysis performed. You'll see the  
13 left-hand column over there, you know, it lists the  
14 type of samples, you know, surface, subsurface,  
15 groundwater, etcetera, and it lists the total number  
16 of samples taken. And then those other columns that  
17 you see out there are samples for lead, target,  
18 analyte list, metals, VOCs, or volatile organic  
19 compounds, SVOCs, semi-volatile organic compounds.

20 I can't remember what P/NA is. Oh,  
21 yeah, they're down there on the bottom.

22 That's the perchlorate and  
23 nitroaromatic/nitramine explosives. Then we got P/H,



1 chlorinated and organophosphorus pesticides, and  
2 chlorinated herbicides. And then PCBs, you know, I  
3 think everybody knows what that one is. And CN is  
4 cyanide. And pH, it's determined whether or not it's  
5 acidic or basic. And then total organic carbon. That  
6 just gives you the numbers associated with each type  
7 of sample.

8 Okay. Next slide.

9 Nature and extent of contamination.  
10 And these will be addressed by whether or not they're  
11 surface soil, subsurface soil, groundwater, etcetera.  
12 We'll go through them. There is actually sixteen  
13 slides associated with this particular subject, nature  
14 and extent of contamination. The first group of  
15 slides, first group of information comes from surface  
16 soil contamination.

17 You can see the number of samples  
18 collected. You can see the lead is pretty well  
19 ubiquitous. What's that song I'm thinking about?  
20 Santa Clause, he's everywhere, he's everywhere. So,  
21 the lead is the same way. I can see my jokes aren't  
22 working.

23 The BSC is background screening

1 criteria. It's a number that, you know, is used to  
2 indicate whether or not there was any human activity  
3 in the area, so that if you don't exceed background  
4 screening criteria, generally that means that man has  
5 not added any contaminants to the area. So, it's  
6 naturally occurring. But you can see that criteria  
7 was -- exceeded the sediment samples.

8 The site-specific screening level,  
9 you know, you can see it's a significantly higher  
10 number, but that's a number that was established just  
11 -- can you add the -- can you give them a good  
12 definition of what that is, Ron?

13 MR. RON LEVY: The SSSLs, we've got  
14 them for most of the metals where --

15 Randy, go ahead, help me out.

16 MR. RANDY McBRIDE: Well, it's based  
17 on human health risk factors is where the SSLs come  
18 from, and that's opposed to the ESVs, which are the  
19 ecological screening values. This is the human health  
20 phase.

21 MR. RON LEVY: But some of those  
22 are derived, the EPA -- EPA screening values --

23 MR. RANDY McBRIDE: Well, the one

1       for lead, of course, four hundred milligrams per  
2       kilogram, comes right out of the EPA, that's for  
3       residential soils.

4                       MR. RON GRANT:  It's a number,  
5       anyway, that the regulators say, okay, you know, this  
6       is what we're looking for.  If we see levels below  
7       this, it's at least one indication that there is no  
8       need for a lot of cleanup in that particular --  
9       regarding that particular item.  And see, we're only  
10      addressing lead here, at this point.

11                      As you can see, of a hundred and  
12      twenty samples, it was only exceeded in thirty of  
13      those samples.  And the maximum concentration, which  
14      is just a -- that's more like a trivia question than  
15      anything else, it has no particular significance of  
16      any kind, other than just, that was in the report, so  
17      I put it in here, also.  But it was at Range 19, that  
18      particular number.

19                      Next slide.

20                      Okay.  The reason I put this up  
21      here -- you have got a copy of that right there in  
22      front of you.  The thing I wanted you to see is kind  
23      of visual explanation or presentation of the

1       contamination that exists. These next four slides you  
2       see are going to depict the lead concentration at the  
3       ranges.

4                       In this particular one, you can see  
5       is the skeet range, Parcel 69 and Parcel 222QX.

6                       If you'll look at the legend down in  
7       the lower right-hand corner, the one that says surface  
8       soil lead contours, you know, where you see the  
9       colored chart over here, remember the background  
10      screening criteria is 40.05 milligrams per kilogram,  
11      so if you see any colored area on the map, you know,  
12      any of those colored areas that are depicted on the  
13      legend, then all of those will exceed that background  
14      screening level.

15                      So, you can look at the coloration  
16      on the map, and the only areas that don't exceed that  
17      are those that are colored or a color that is not in  
18      that little legend over here on the right-hand side of  
19      the chart.

20                      And then note also that the  
21      site-specific screening level that -- if you recall on  
22      the previous chart, it was four hundred milligrams per  
23      kilogram, and reading those numbers over here on the

1       legend again, you'll see that anything that's orange,  
2       red, or to me, I call that purple -- it looks more  
3       brown here -- but all of those would exceed the  
4       site-specific screening level. So, you can see there  
5       is, you know, significant areas that fall in that  
6       category.

7                       Does that look brown to y'all, that  
8       very last one?

9                       MR. GARY HARVEY: It does up there.

10                      MR. RON GRANT: Okay. On this one  
11       in front of me, it looked purple.

12                      Okay, next chart.

13                      Just more of the same. I won't go  
14       through all of that again. Just so you can see that  
15       this is a different range, a different set of ranges,  
16       Range 19 and Range 221QX. And you can see the same  
17       sort of things exist. You have areas that are  
18       extremely high in lead concentration and then lesser  
19       concentrations.

20                      4-3, more of the same. 4-4 --

21       (Greg Schank enters the meeting.)

22                      MR. RON GRANT: 4-4 -- again, this  
23       is for range -- each one of those is for a different

1 set of ranges.

2 Okay, next slide.

3 Again, we're still continuing with  
4 surface soil contamination. The first data we  
5 reported there was just on lead.

6 Now, for metals other than lead --  
7 and this is metals that are in that target analyte  
8 list that was generated by the regulators, you know,  
9 metals that might be a health concern or an ecological  
10 concern. But of those items on that list, you can see  
11 the number detected and essentially what their  
12 concentrations were, depending on those screening  
13 levels, whether or not they were site-specific or  
14 ecological.

15 And you see VOCs, volatile organic  
16 compounds. Same thing for semi-volatile organic  
17 compounds, you can see the number of samples analyzed  
18 and essentially what the results were.

19 Next chart.

20 This is still surface soil, you  
21 know, additional things tested for were chlorinated  
22 pesticides. You know, you can see that all of those  
23 were below the site-specific screening levels, which

1 is good news in that although all of them exceeded the  
2 ecological screening levels, it was random  
3 distribution. So, it does -- at least it indicates  
4 that there is no concentrated area where those -- that  
5 particular contaminant would exist.

6 And then you see those  
7 organophosphorus pesticides. And the good news is  
8 there that they were all below the SSSL and the ESV.

9 Next slide.

10 Still on surface soil contamination.  
11 These tests, you know, chlorinated herbicides were --  
12 and notice all of those results were below the SSSLs  
13 and the ESV, and PCBs -- one PCB was detected in three  
14 samples, and two of those samples exceeded the  
15 ecological screening value.

16 There's a whole family of PCBs.  
17 PCBs could be tailored, depending on what they were  
18 being used for, but only one of that family of PCBs  
19 was found at this site, which at one time, PCBs were  
20 probably -- they were no longer being used for  
21 transformers or some sort of coolant in electrical  
22 systems.

23 Unfortunately, sometimes they were

1       used as a dust palliative on the roads. But it  
2       appears that that certainly was not the case here,  
3       because the degree there is so slight.

4                       Next slide.

5                       So, we're changing now from surface  
6       soil contamination, if you'll notice, to subsurface  
7       soil contamination. You'll see the samples collected.  
8       And again that's BGS, that little symbol there is  
9       greater than, greater than one foot below ground  
10      surface. I think the rest of that is pretty well  
11      self-explanatory.

12                      You do notice again sort of a trivia  
13      question, I guess; the maximum concentration was at  
14      Range 19 at thirteen hundred and fifty milligrams per  
15      kilogram. And coincidentally or not, that other  
16      sample that we reported as being the very highest  
17      surface sample was also at Range 19. I'm not sure  
18      what you can draw from that. It's just --

19                      MR. GARY HARVEY: We shot a lot of  
20      lead into Range 19. It was a pistol range.

21                      MR. RON GRANT: In the test -- you  
22      need to remember that. When I get through, I'm going  
23      to give you the test, you need to remember that, both



1       those highest samples were at Range 19.

2                       Metals other than lead, again, this  
3       is in the subsurface soils. Keep those in mind. You  
4       see the results there.

5                       Next slide. Still in the subsurface  
6       soil. You know, we see the results of the VOC testing.  
7       I'm going to go through these pretty quickly, unless  
8       somebody says stop. You see the results of the  
9       semi-volatiles. Only one of those -- all of those  
10      were below the SSL except the (benzo(a) pyrene).  
11      Anybody -- maybe Barry can tell us.

12                      I had organic chemistry about fifty  
13      years ago, and I don't remember the significance of  
14      the (a) in there. Can you tell us that? It won't be  
15      on the test.

16                      DR. BARRY COX: Actually, I'm an  
17      inorganic chemist.

18                      MR. RANDY McBRIDE: Well, the pyrene  
19      is a ring structure, so it's got carbons in a ring  
20      basically, and there are several different shapes that  
21      that ring can take with different things that are  
22      attached to it. Benzo(a), just refers to a benzene  
23      sitting off of that pyrene ring. So, it just refers

1 to the structure of the compound there.

2 Benzo(a)pyrene, for example, has a  
3 different toxicity than other pyrenes. That's why  
4 it's called (inaudible).

5 MR. RON GRANT: Okay. Well, the  
6 good news is: There doesn't appear to be a lot of it.

7 Okay. And then you see the last one  
8 on there, what the three samples were and what they  
9 were analyzed for, and none of those were detected.

10 Next slide.

11 We've switched over now to  
12 groundwater contamination. You see six samples  
13 collected -- I'll remind you, the reason only six were  
14 taken was, you know -- of the eight wells they put in,  
15 two of them really didn't have a sufficient amount of  
16 water to sample. The good news there, you know, all  
17 of those things that were detected were concluded they  
18 were naturally occurring.

19 Same thing -- you know, the VOCs,  
20 again, good news, all the VOCs detected were below the  
21 site-specific screening levels.

22 Next chart.

23 Continuing groundwater

1       contamination, got a non detect on semi-volatiles.  
2       Only one of the nitroaromatic explosive compounds  
3       exceeded the site-specific screening level and no  
4       perchlorates found.

5                       Next chart.

6                       We've gone from groundwater to  
7       surface water contamination now. You can see the  
8       results there. Nothing startling there.

9                       Questions?

10                      Next chart.

11                      Continuing on with the surface water  
12       contamination. You can see two non detects on both  
13       those analyses.

14                      You know, we've switched from  
15       surface water to sediment contamination. You can see  
16       that lead, you know, is found. And again, you know,  
17       lead, you recall, it was ubiquitous in the surface  
18       soil samples, and it's also found in -- I think you  
19       can probably get an idea where the recommendations are  
20       going to go because of the findings associated with  
21       lead.

22                      Next chart.

23                      Metals other than lead, you can see

1       the numbers there and for the other two analytes, you  
2       can see that none detected.

3                       Next one.

4                       We've gotten, you know, this  
5       analytical data, and now we're going to determine what  
6       are the -- come to some conclusion about what the  
7       sources of contamination are. Because of the use of  
8       these areas, it's pretty obvious that there, you know,  
9       the bullets, bullet fragments and shot, and the types  
10      of those items that were found at these sites are the  
11      rifle, copper jacketing and non-jacketing and shotgun  
12      pellets.

13                      And again, it says most of the  
14      contaminants comes from the non-jacketed rounds and  
15      the shotgun pellets, because apparently, the copper  
16      jacketing provides a protective coating around the  
17      lead projectiles, and it doesn't dissolve or go into  
18      the environment as readily as the jacketed bullet  
19      does.

20                      Next slide.

21                      The conclusions from the streamlined  
22      health risk assessments. Quickly, it says there is no  
23      unacceptable threat to the recreational user, but that

1       lead, antimony, and arsenic do pose a concern from the  
2       groundskeeper, construction worker, and on-site  
3       resident.

4                       Next slide.

5                       We've gone to the baseline  
6       ecological risk assessment. Summary statement there  
7       in that first one, it just says that all three of  
8       those media surface soil, surface water, and sediment  
9       have the potential to pose adverse effects to  
10      sensitive ecological receptors.

11                      And the next one just says that they  
12      have developed risk-based remedial goals, you know,  
13      for the various items that are listed there, those  
14      metals and particulate lead density, where there are a  
15      lot of lead particles lying around in the areas on all  
16      the ranges.

17                      If you're interested, I have those  
18      risk-based remedial goals. You can look it up on your  
19      own or I can get you a copy of it. They're on tables  
20      8-5 and 8-6 in the report. So, if anybody needs  
21      those, I'll be glad to furnish them to you.

22                      Okay, next one.

23                      And the next one is conclusions.

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1 Like I said, I thought the first conclusion up there  
2 was pretty obvious in the direction we've been going,  
3 metal contamination is a major source of environmental  
4 concern. Obvious source, contamination is mostly  
5 limited to the zero to one foot area, and  
6 recommendation is to go ahead and do a feasibility  
7 study to develop those alternatives necessary to  
8 ensure protection of human health and environment.

9 Questions? Yes, sir.

10 MR. MONTY CLENDENIN: I can imagine  
11 an old automobile out in the woods, you know,  
12 oxidizing and deteriorating and eventually just  
13 rusting away to nothing, you know, and it will always  
14 be there. But does lead do that? Does lead  
15 deteriorate, or would it always be there?

16 MR. RON GRANT: No. You know, there  
17 is a threat associated with it oxidizing, and  
18 gradually -- I have no idea at what rate, but, yeah,  
19 it would -- you know, if it laid there long enough, if  
20 it laid there for eternity, you would get to the point  
21 where you had no, you know --

22 MR. MONTY CLENDENIN: But  
23 eventually --

1                   MR. RON GRANT:  -- no lead particles  
2           that were visible anymore.  They would all be  
3           dissolved into the soil.

4                   MR. MONTY CLENDENIN:  A lot slower  
5           than iron?

6                   MR. RON GRANT:  I don't know what  
7           the rate of oxidation would be between it and iron.  I  
8           would guess yes, because lead is a much more inert  
9           material than iron is, but I couldn't give you a  
10          number associated with that.

11                  MR. RON LEVY:  You want to speak to  
12          that, Randy, at all?

13                  MR. RANDY McBRIDE:  Well, I can just  
14          say that you can see the evidence of that at the skeet  
15          range for instance, where you've got small lead  
16          articles from shotgun pellets, where we went out and  
17          sampled originally about eight years ago, you can find  
18          them in a pretty good concentration on the surface.

19                  But now, you go out there and try to  
20          find them, you can't, because a lot of them have  
21          basically dissolved into the soil.

22                  So, yeah, over time you will see  
23          degradation.

1                   MR. RON GRANT: There is a statement  
2           in there -- I don't think I mentioned it, you know --  
3           regarding the ecological receptors and the fact that  
4           those lead pellets, even the smallest pieces around,  
5           pose a threat to some of the birds in the area because  
6           they're going to peck around and get stuff and get in  
7           their craw, as part of their digestive processes, and  
8           so they do -- those lead particles do pose a threat to  
9           some of the birds in the area because of it, but  
10          that's all in the list of, you know, ecological risk  
11          assessments.

12                   Am I done?

13                   MR. RON LEVY: Anymore questions?

14                   I would like to just say, Ron  
15          pointed out that we're walking through a process here.  
16          This is the RI phase, and we're going to move into a  
17          feasible study, which essentially looks at what  
18          technologies are out there to address the risk  
19          associated with human health and the environment. So  
20          what do clean-up levels look like, and what technology  
21          will be used is still to come.

22                   Obviously, you can see from some of  
23          those plats that Ron showed up there that we've got



1       significant lead concentrations on the ground, in the  
2       soils, and will have to be addressed as part of the  
3       feasibility study.

4                       MR. GARY HARVEY:   And if I can add,  
5       I mean, it's not much of a surprise, they've defined  
6       the nature and extent, those were -- 19 was a pistol  
7       range, the MPs qualified on pistols.   Every MP that  
8       came through here from all the time they were here,  
9       back in what -- '70s, when they came here, until they  
10      left in '99, that range was used three, four, five  
11      times a week, and those are unjacketed rounds, pistol  
12      rounds.   That's why you see a lot of them left there.

13                     And if I can, for the record, Ron,  
14      before Brenda slaps me, she's fixing to jack slap me,  
15      I need to mention for the record that Greg Schank came  
16      in, and Dr. Harrington is in, too.

17                     MR. RON LEVY:   One other thing, too,  
18      this is probably typical of what we're seeing at the  
19      other series of ranges we've got.   We've got ranges on  
20      Baby Baines Gap Road, Baines Gap Road, and  
21      Choccolocco Corridor, and other places within the base  
22      that we're doing the same type of study.   And we're  
23      looking at, and we're seeing similar results, in terms

1 of types of contaminants, lead being out there. So,  
2 you'll see more of that in the future, I'm sure. Some  
3 of that, the JPA has got, working with it.

4 MR. GARY HARVEY: You'll notice  
5 those ranges are all up against the (inaudible). You  
6 see the contour lines. It's all pretty concentrated  
7 where we shot the pistols into the side of the hill.

8 So, where the range started out as a  
9 great big thing, maybe fifteen hundred acres, comes  
10 down to just a few acres, where the lead was captured.  
11 Not much of it got out.

12 Thanks, Ron.

13 Okay. Next, agency reports, ADEM,  
14 what you got?

15 MS. BRANDY LITTLE: Well, with the  
16 recent departure of Shana Decker, I and  
17 LaBarron Rudolph, we're going to share the project  
18 manager duties, as far as ADEM is concerned, but due  
19 to her swift departure, we have not prepared the  
20 agency report for tonight.

21 MR. GARY HARVEY: For those of you  
22 that don't know, Shana Decker was the project manager  
23 for ADEM for us here at Fort McClellan, she's left,

1       took another job in Birmingham somewhere, was it?

2                       MS. BRANDY LITTLE:   (Nods head.)

3                       MR. GARY HARVEY:   And so, these are  
4       the new guys.  They've been here before.  They're  
5       going to be the project manager now.

6                       EPA, Doyle is not here, right?

7                       Okay.  So then, that gets us to  
8       Greg.

9                       MR. GREG SCHANK:   JPA, in the last  
10       quarter, we completed additional characterization at  
11       the T-6 site and the T-38 site, which included  
12       installation of some additional monitoring wells,  
13       sampling the new and some of the existing monitoring  
14       wells, surface soil samples, sediment samples, and  
15       surface water samples.

16                      This was done to get a better  
17       understanding of the contamination at these sites so  
18       then that now we can design the remediation that will  
19       go along with these sites.

20                      MR. GARY HARVEY:   Can I interrupt  
21       you?

22                      MR. GREG SCHANK:   Sure.

23                      MR. GARY HARVEY:   Does everybody

1 know what T-38 is, the old toxic gas yard, where we  
2 did the removal of chemicals and give you a report on  
3 that, up on Rosenbar Ridge (phonetic)? We removed the  
4 chemicals, the toxic agent-type stuff, and now Greg is  
5 finishing up the characterization of the site.

6 And T-6 is what, Howitzer Hill? I'm  
7 a real old guy, and these things had different names  
8 before y'all renamed them. It was Howitzer Hill when  
9 I was an enlisted guy out here, and that's over --

10 MR. GREG SCHANK: Sorry, I didn't  
11 bring a map.

12 MR. GARY HARVEY: -- across from the  
13 starships.

14 MR. GREG SCHANK: Right.

15 MR. GARY HARVEY: That's okay.  
16 We'll show them.

17 MR. GREG SCHANK: That's fine. I  
18 noticed on the Army's brief they talked about the ESCA  
19 modification, so, I won't go into that.

20 We're working on the Alpha area  
21 supplemental EE/CA. We've seen an internal draft of  
22 that document. They're addressing Matrix comments  
23 right now, and it will be submitted to the Army and to

1       ADEM once those comments are addressed.

2                       We've completed a MET contract  
3       selection process, and we have selected a MET  
4       contractor. ECC was successful in that bidding. And  
5       that's to do cleanup in the Alpha area,  
6       Baines Gap Road, the industrial access road, and a  
7       very small portion of the Bravo area.

8                       An action memorandum was approved by  
9       ADEM for the Alpha area cleanup. We're in the process  
10      of doing an Alpha -- or an action memorandum for  
11      Baines Gap, and we'll probably have to do one for the  
12      industrial access road to Bravo area, also.

13                      Once the action memorandum gets  
14      through the Army and ADEM -- the Army also reviewed  
15      the Alpha area cleanup action memorandum -- then an  
16      environmental safety submission has to go to the  
17      Department of Defense --

18                      MR. GARY HARVEY: DDESB,  
19      Department of Defensive Explosive Safety Board.

20                      MR. GREG SCHANK: Right. Once it's  
21      approved by them, then we can begin clearing these  
22      areas.

23                      We have started looking at the

1 requirements for capping Landfill 3 and the fill area  
2 of Northwest Reilly. Landfill 3 is in the very  
3 northwestern portion of the base and directly adjacent  
4 to it is the fill area of Northwest Reilly.

5 That area will be clear-cut, and  
6 then an engineered cap will be put on both of those  
7 fill areas. We expect that to begin probably in  
8 December, maybe January.

9 That's about all that we have going  
10 right now. If anyone has any questions, I'd be happy  
11 to answer them.

12 MR. GARY HARVEY: Is it just going  
13 to be a cap on landfill three or going to be  
14 chemicals in the ground, too?

15 MR. GREG SCHANK: We eventually will  
16 put chemicals in the ground, once -- we have some  
17 further characterization we want to do up there to  
18 get a better handle on the contamination before we  
19 design the remediation system. But, yes, we will be  
20 putting a remediation system in place on top of that,  
21 on that landfill.

22 Yes, sir?

23 DR. BARRY COX: Since JPA has taken

1 over a lot of the environmental remediation, could we  
2 get the action summary sheet in writing from the JPA,  
3 just like we do from the Army?

4 MR. GREG SCHANK: Sure.

5 DR. BARRY COX: Okay.

6 MR. RON LEVY: That's only fair.

7 MR. GREG SCHANK: I'll have that for  
8 you at the next meeting.

9 DR. BARRY COX: Appreciate it.

10 MR. GARY HARVEY: Okay. Any  
11 questions of Greg while he's here?

12 MR. PENN WILSON: What substance do  
13 you make the cap -- what is that made from?

14 MR. GREG SCHANK: Once the -- I  
15 don't know if you're familiar with Landfill 3.  
16 Landfill 3 was a trench-and-fill landfill. I don't  
17 know exactly how many trenches were out there, but if  
18 you ever get out there, you can actually see the  
19 trenches, because they differentially settled.

20 So, we'll clear-cut that, get all  
21 the vegetation off of it, they'll totally level it,  
22 but then what they use is clay. They'll come in and  
23 compact clay. It has to be to a certain density and a

1       certain permeability, and that's all -- you know, the  
2       State, you know, drives those parameters.

3                       I do believe that once they put the  
4       engineered clay cap on that they're going to asphalt  
5       that. There is some discussion about a driving course  
6       for that -- you know, the police are out here having  
7       their academy, and there is some discussion with them  
8       about perhaps making their driving course on top of  
9       that after we cap it.

10                      MR. GARY HARVEY: You know where  
11       Landfill 3 is?

12                      MR. PENN WILSON: Yeah.

13                      MR. GARY HARVEY: Back behind the  
14       old WAC building, the WAC area.

15                      MR. PENN WILSON: Yeah, I used to  
16       run it, walk it.

17                      MR. RON LEVY: Right --

18                      MR. GARY HARVEY: I figured if I  
19       explained that part, you'd know where it was.

20                      MR. RON LEVY: Right behind  
21       Mr. Jackson's head, that's -- point to it.

22                      MR. GARY HARVEY: Landfill 3, right  
23       by the highway.



1 MR. PENN WILSON: Thank you.

2 MR. GARY HARVEY: Ron, you got the  
3 action summary sheet?

4 MR. RON LEVY: Yes. And everybody  
5 has got a copy of that, and I won't bore you to death  
6 by going through all the details of it. I'll just  
7 recap a few things concerning the Bravo area and the  
8 Bravo EE/CA, that was sent in draft to ADEM. We did  
9 receive extensive comments back from ADEM back in  
10 March.

11 Subsequently, the Army has submitted  
12 responses back on the 3rd of August, and then ADEM  
13 sent some additional comments related to the document.  
14 We wanted them to focus on those areas, which we  
15 believe was no further action first, and that's what  
16 they did.

17 And then they came back with  
18 additional comments for the other areas. And the Army  
19 is still working in responses. We've had meetings  
20 with ADEM, I think pretty good meetings with ADEM, and  
21 I think we're moving along in the right direction, in  
22 terms of getting somewhere.

23 Hopefully, at some point, we can

1       define -- fully define those areas that do require  
2       some sort of removal action, and those that don't.

3                       Other areas in the Bravo EE/CA area,  
4       the water tank sites and the other sites that were  
5       identified for future storage tank locations for the  
6       water board, total of nineteen acres. There are  
7       several sites that -- there were a couple of sites  
8       that we did a removal action on. We submitted that  
9       removal action report back in July -- excuse me, back  
10      in May, and ADEM came back in July with some comments,  
11      and we're working through the comments on that.

12                     In the Charlie area, I think really  
13      there has been no change per se in the Charlie area,  
14      in terms of the project, other than the fact that  
15      we're working to complete action on Baines Gap Road  
16      removal. This is in support of public use of the  
17      road. Both us and the JPA is working a piece of that,  
18      as well.

19                     Our piece is that which falls within  
20      the Fish & Wildlife Area, since it's still an Army  
21      piece that will continue. There has been a contract  
22      let for that, about nineteen acres. Right now, the  
23      work plan is out, so ADEM has been -- we submitted a

1       copy of the work plan to ADEM back in October, so  
2       we're hoping that will move smoothly, and we're hoping  
3       we can put to action within the next eight months,  
4       Dan -- within the next eight months.

5                       The Eastern Bypass, the one thing  
6       that's been done that's still left is the tract three  
7       piece. We had a construction debris area scenario  
8       where we weren't able to fully characterize the area  
9       because of all the construction debris that was in the  
10      ground, including rebar and heavy concentrations of  
11      concrete and other rubble.

12                     At the time we did the initial  
13      investigation, as we further discussed it with ALDOT  
14      and ADEM, we determined that there was certain areas  
15      that we did need to go in and look at where there was  
16      going to be fill of four feet or less.

17                     Field work began in May. It was  
18      completed in August. The draft removal report is  
19      being worked right now internally with the Army.  
20      Hopefully, that will come out soon to ADEM.

21                     MR. GARY HARVEY: That's the last  
22      bit of UXO work for the Eastern Bypass.

23                     MR. RON LEVY: With that done, we're

1 hoping we can FOST it and turn it over to ALDOT --

2 MR. GARY HARVEY: Uh-huh.

3 MR. RON LEVY: -- within this  
4 calendar year, within this fiscal year.

5 DR. BARRY COX: What is the  
6 projected completion of the bypass?

7 MR. GARY HARVEY: Oh, I think it's  
8 moved way out. The latest proposal I've heard, Barry,  
9 with -- I don't know the status of it. ALDOT was  
10 going to meet with the community. You know, they got  
11 about thirty-one million dollars, you remember, less  
12 than they thought, which is still quite a bit for a  
13 new congressman to get -- thirty-one million, which is  
14 not enough to do the whole thing.

15 So, there was a proposal on the  
16 table that JPA made. And all I know is about the  
17 proposal -- I don't know if anybody has agreed to it,  
18 yet -- was rather than come all the way through and  
19 not finish the whole thing, maybe come back to  
20 Iron Mountain Road, do a complete highway to  
21 Iron Mountain Road, so they would have access to  
22 Greg's industrial access road, so you would at least  
23 have connectivity to the interstate.

1                   MR. RON LEVY: The proposal was  
2                   this area down here.

3                   MR. GARY HARVEY: Right. Right out  
4                   there to Iron Mountain Road or Ten-Mile Road there.

5                   MR. RON LEVY: That's where the  
6                   industrial access --

7                   MR. GARY HARVEY: And that's where  
8                   the industrial access road will go out, Barry.

9                   DR. BARRY COX: Okay.

10                  MR. GARY HARVEY: And so, the idea  
11                  was: If you only got thirty-one million, why not just  
12                  complete that whole thing and then work on getting the  
13                  money for the rest.

14                  Now, I don't know where that stands.  
15                  I wasn't at the meeting between ALDOT and JPA. It  
16                  seemed to makes sense from developing this place.

17                  MR. MONTY CLENDENIN: On the other  
18                  end, does anybody have any idea how many more times  
19                  they're going to resurface that road that goes in  
20                  front of the middle school, and when that will be  
21                  opened up?

22                  MR. GARY HARVEY: The  
23                  New Summerall Gate Road?

1 MR. MONTY CLENDENIN: Is that what  
2 it's called?

3 MR. GARY HARVEY: That's the  
4 New Summerall Gate Road. A lot of people think that's  
5 the Eastern Bypass, but it's not. It's the  
6 New Summerall Gate Road. It's a new exit for the  
7 southern part -- Summerall Gate Road, the original one  
8 gets taken over by the Eastern Bypass. This will be  
9 the new entrance to Fort McClellan.

10 That was the Flying J. Remember the  
11 Flying J?

12 MR. MONTY CLENDENIN: Yeah. But  
13 I've seen them resurface it about forty times.

14 MR. GARY HARVEY: They've been  
15 building it up, but I thought I saw a paint stripe  
16 right there today at lunch.

17 MR. MONTY CLENDENIN: Is there a  
18 plan to open it?

19 MR. ROBERT JACKSON: If that's the  
20 turning lane, he's painted it today.

21 MR. GREG SCHANK: It's my  
22 understanding the Mayor wanted that open as soon as  
23 possible.

1                   MR. MONTY CLENDENIN: Will that come  
2 out by the soccer field?

3                   MR. GREG SCHANK: Yes.

4                   MR. GARY HARVEY: Yeah.

5                   I understood they're trying to open  
6 it sometime this fall, but I don't have any date.

7                   MR. PENN WILSON: We kind of tracked  
8 that, where I work at JSU, and we had some charts for  
9 a presentation a couple of weeks ago, and we checked  
10 with ALDOT, and they said winter of this year. So,  
11 it's soon, I believe.

12                  MR. GREG SCHANK: Yes.

13                  MR. RON LEVY: Concerning  
14 Iron Mountain Road ranges, this is what Ron Grant just  
15 briefed you on, the RI for Iron Mountain Road ranges,  
16 along the eastern part of the Eastern Bypass. There  
17 is about four acres of one of those ranges. And it's  
18 Range 12, I believe, is in the very southerly portion  
19 that actually fell within the bypass area.

20                  And since our focus is to get that  
21 property cleaned and over to ALDOT as soon as  
22 possible, we focused on a removal action, interim  
23 removal action in that area.

1                   And we did complete the removal  
2           action, provided a draft report to ADEM in May.  
3           ADEM's provided us comments back, and we're working on  
4           preparing a response to those comments on that draft  
5           removal action report.

6                   A little bit about the ESCA that I  
7           can talk to you about, most of you know that -- and  
8           for those of you who don't know, the Army entered into  
9           an agreement with the Joint Powers Authority for  
10          cleanup or portions of cleanup of Fort McClellan. A  
11          majority of that area sits within the Alpha. As most  
12          of you know, the Alpha area is that yellow area up  
13          here.

14                   There has been some changes  
15          associated with that since the initial application of  
16          that in '03 --

17                   MR. GARY HARVEY:   '03.

18                   MR. RON LEVY:   -- September of '03.  
19          There's been a modification. One of -- that  
20          modification includes some areas in the Bravo and some  
21          reworking of areas in the Alpha, in and around the  
22          Alpha, from a prioritization standpoint. And it also  
23          had to do with the fact that congressionally there was



1 a change in the requirement of the way funding had to  
2 be done, there was a two-year restriction on that.

3 So, this being the end of the two  
4 years, we had to go in and redo the document. Suffice  
5 to say that we've now entered into a new one and added  
6 additional cleanup. Approximately, an additional six  
7 hundred million -- excuse me -- six million -- that's  
8 a lot --

9 MR. GARY HARVEY: We wish we had  
10 six hundred million.

11 MR. RON LEVY: Approximately, an  
12 additional six million went to the JPA for the cleanup  
13 of these additional sites. If anybody is interested  
14 in seeing what that looks like, I can send you a map  
15 of that by e-mail. And that is all I've got.

16 MR. GARY HARVEY: The significance  
17 of that, in the authorization bill that no one  
18 noticed, became a requirement the ESCA could only be  
19 for two years, so, we were lucky we got it  
20 renegotiated, and didn't lose any of the money,  
21 because that all of a sudden put up a risk when it  
22 runs out, and all the money was plowed back in, so  
23 nobody lost. In fact, JPA gained an additional six

1 million and more responsibility for the cleanup.

2 MR. RON LEVY: Any questions?

3 DR. BARRY COX: Ron, what is the --

4 I noticed some e-mails from Doyle -- but what is

5 the -- could you summarize the issues there?

6 MR. RON LEVY: On what? On --

7 MR. GARY HARVEY: On bullets?

8 DR. BARRY COX: Yeah. The one that

9 I think we all got a couple, Doyle Brittain sent out.

10 MR. GARY HARVEY: (Inaudible.)

11 MR. RON LEVY: I'm not sure. I

12 can't remember, myself. Can you --

13 DR. BARRY COX: Do we have any idea

14 when Doyle will be back?

15 MR. RON LEVY: Doyle is back, and

16 we're talking to him. And we do have some discussion

17 ongoing about the geochemical analysis and risks

18 ongoing. I don't know that we've hit any impasse.

19 We're still talking about it. There is still lots of

20 discussion going on.

21 Some of the geochemical stuff has

22 been resolved with ADEM. We've kind of gotten

23 through -- there may be a difference with EPA, but

1       we've got an agreement from the part of ADEM. So,  
2       ADEM being the lead regulatory authority here, we've  
3       moved ahead on some of that stuff.

4                   Other parts concerning the metals  
5       and the risk, you know, we're still talking through  
6       that. ADEM has still got the same kinds of concerns  
7       as EPA, and we haven't finished concluding where we're  
8       going to go.

9                   DR. BARRY COX: Do we expect Doyle  
10       to be back? I guess that's a general question. Do we  
11       expect him to be back any time soon?

12                  MR. RON LEVY: Doyle is back. Doyle  
13       is back.

14                  DR. BARRY COX: Back at our meetings  
15       is what I was --

16                  MR. RON LEVY: Well, Doyle's problem  
17       is funding, and the ability to get travel dollars to  
18       come here. I haven't heard him tell me that he's  
19       going to be attending future meetings. I think what  
20       he basically said, unless he gets more funding, he's  
21       not going to be able to attend the meetings.

22                  DR. BARRY COX: Okay.

23                  MR. GARY HARVEY: We don't have a

1 TAPP or TOSC --

2 MR. RON LEVY: No TOSC.

3 MR. GARY HARVEY: -- no TAPP report,  
4 no TOSC.

5 MR. RON LEVY: Well, I'll give you  
6 the TAPP report. For those of you who don't know,  
7 TAPP is the technical assistance -- help me out here.  
8 What does that stand for? Technical assistance --

9 MR. RON GRANT: Public  
10 participation.

11 MR. RON LEVY: -- public  
12 participation. Dollars that are provided by the Army  
13 to the RAB, so that they can bring -- so that you can  
14 bring in a person, a technical person, which happens  
15 to be Ron Grant, to help explain some of the technical  
16 aspects of the cleanup.

17 And that's what Ron has been doing,  
18 particularly in the case of the RI that he briefed.

19 We're limited in terms of the  
20 dollars that can be spent on that, essentially,  
21 twenty-five thousand dollars a year. Ron Grant has  
22 been under a contract. He had a base period. Now  
23 he's in his option year.

1                   We didn't spend all the dollars in  
2           the base year. Some of that's rolled over. There is  
3           about -- since -- well, since the last -- since the  
4           start of the new option year, he's spent about nine  
5           hundred and seventy-five dollars, about nine point  
6           seven five hours working off of about an eighteen  
7           thousand, five hundred dollars worth of effort. Ron  
8           bills against that based on participation at the RAB,  
9           reviews of documents, and other things. And we track  
10          it in accordance with Army policy.

11                   But he's here for your support. If  
12          you've got questions, Ron can do the research for you,  
13          bill it against the contract. That's what he's here  
14          to do, to be able to try to lead you through the  
15          technical stuff and help put that in laymen's terms so  
16          you can better understand what's going on with the  
17          cleanup.

18                   MR. GARY HARVEY: So, if you've got  
19          anything that's burning right now you want him to look  
20          at, say so or just send Brenda or Ron or I an e-mail,  
21          letter, or whatever, what you want him to look at. I  
22          mean, this briefing today is what y'all wanted him to  
23          look at.

1                   If you want another one, different  
2           topic, whatever, just say it. He's here for y'all.  
3           And it don't have to be right now, just fire us off an  
4           e-mail, phone call, a "hey you" will do.

5                   MR. RON LEVY: That's all I've got.

6                   MR. GARY HARVEY: Okay.

7                   MR. RON LEVY: Upcoming programs --

8                   MR. GARY HARVEY: I'm not sure we  
9           have any.

10                  MR. RON LEVY: We want to ask Greg  
11           when he may be available to do the Landfill 3 analysis  
12           that he's been talking about.

13                  MR. GREG SCHANK: Yeah. I don't  
14           have an answer for you right now. The last time I  
15           checked with Steve Young out in Denver, he did not  
16           have anything prepared on that, yet. And I'm not sure  
17           if he -- you know, we are going back out there to  
18           put -- to do some more characterization, put some more  
19           wells in. And I'm not sure if he's waiting until we  
20           get that submitted to him.

21                  Is there something specific that you  
22           would like to know about Landfill 3?

23                  MR. RON LEVY: The RAB had asked

1       about geological analysis. They were interested in  
2       what was actually going on under the ground.

3                       MR. GREG SCHANK: Okay.

4                       MR. GARY HARVEY: Well, we got three  
5       months to get that, so --

6                       MR. GREG SCHANK: I'll bring that up  
7       again with him. I know that that was brought up --

8                       MR. GARY HARVEY: We have that much  
9       time 'till the next meeting.

10                      MR. GREG SCHANK: Right. I'll bring  
11       it up again with Steve and see if we can't have that  
12       at the next meeting.

13                      MR. RON LEVY: Monty, you had asked  
14       about the water shed, where the water comes from, and  
15       where it ends up. And we had sent you something, but  
16       we were kind of interested in where you were going  
17       with this and what specifically you were looking for,  
18       in terms of the water shed, because it's a big  
19       question and there's a lot about the water shed that  
20       can be addressed.

21                      MR. MONTY CLENDENIN: Well, just  
22       mostly what I was interested in is where the water,  
23       the groundwater exits the Fort, and I think that's two

1       creeks, Cane Creek and --

2                   MR. RON LEVY:  You weren't looking  
3       at this from a cleanup standpoint?  You were just  
4       looking at it from a natural resource standpoint?

5                   MR. MONTY CLENDENIN:  Yeah.  Not in  
6       terms of cleanup, just where all the groundwater goes  
7       in the ducts, ends up in Cane Creek, you know, and  
8       just --

9                   MR. GARY HARVEY:  It ends up a lot  
10      of places.  You go in the back side of the post, it  
11      goes another way.

12                  MR. MONTY CLENDENIN:  Yeah.

13                  MR. RON LEVY:  See, if we were going  
14      to put something together, do you have particular  
15      questions in mind, particular to this, that we needed  
16      to ask?  Didn't we have a discussion about that?

17                  MR. STEVE MORAN:  Yeah.  The water  
18      shed would just be the Cane Creek water shed and  
19      Cane Creek water shed, the Choccolocco Corridor on the  
20      east side of the mountain, and that would be where the  
21      surface water all drains to.

22                  The groundwater would be a different  
23      issue.  Just because it's groundwater does not mean



1       that it's (inaudible) into the creek. For example,  
2       uphill (phonetic) from Landfill 3 (phonetic), you  
3       know, is going to the west and up to the north a  
4       little bit and other areas, it will -- on the east  
5       side of the mountains, it's going to go to the east,  
6       and so it will -- the groundwater and surface water  
7       would be different issues, so --

8                       MR. MONTY CLENDENIN: I guess I was  
9       thinking surface water, you know, what runs off the  
10      roads, what runs into the creeks, you know, and how  
11      much of the -- just the rainwater shed mostly is what  
12      I was thinking about, not the deep groundwater, you  
13      know, underground stuff.

14                     MR. STEVE MORAN: I think a map of  
15      the rivers would probably do it, Ron.

16                     MR. RON LEVY: Well, I think --  
17      Karen, did we not send -- wasn't that information --  
18      did you get a chance to look at the information we  
19      sent you, because I think it does list creeks and --

20                     MR. MONTY CLENDENIN: I think it  
21      did, and I just got it tonight, so I will --

22                     MR. RON LEVY: You might want to  
23      take a look at that and come back to us and see if

1       there is something else we can do for you.

2                       I would mention upcoming programs,  
3       again, we're here to provide you the information, get  
4       input back from you, but we need something from you.  
5       You need to tell us what you're interested in seeing.  
6       You can send me an e-mail, you can tell me during this  
7       meeting, but I can't focus on what I don't know. So,  
8       please, let me know what you're thinking about the  
9       cleanup or Greg what you're thinking about the cleanup  
10      on the JPA side, and we'll try to respond back to you.

11                      We can put presentations together  
12      and come back to the next RAB meeting and present it  
13      to you for discussion.

14                      MR. GARY HARVEY: Another item, too,  
15      the upcoming -- and it's not really us, but you may  
16      have heard in on the radio or saw it in the paper, the  
17      work session of the JPA last week, in their executive  
18      session tomorrow, when they vote on it, they are  
19      working on the snake effigy. There's a proposal  
20      before the JPA for a study of -- don't pin me to the  
21      exact number -- a couple, three thousand dollars to  
22      further characterize that site. And it's  
23      characterizing environmental, but go into it and hire

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1 Jax State, those archeological folks up there, and get  
2 more of an understanding of who built it, when it was  
3 built, and all those sort of historical things, and I  
4 believe they're going to vote on that tomorrow. And  
5 in fact, it was on at 8:10 today, and I do go to the  
6 JPA meetings. So, it was on there.

7 And another thing that you -- we  
8 didn't put on here, we had a transfer of a water site,  
9 Egbert Hill. And help me, what's the other one, Ron?

10 MR. RON LEVY: Sharp Road.

11 MR. GARY HARVEY: Yeah, Sharp Road  
12 went to the JPA, two point five acres, the water  
13 sites. And that was by deeds. Mr. Whitaker signed on  
14 the 27th of September, and the deed was delivered to  
15 the JPA. So, those two are done. So, now we have  
16 three hundred and fourteen acres of that forty-five  
17 thousand.

18 Any comments from anyone here, want  
19 to make any comments? Any questions?

20 MS. BRENDA CUNNINGHAM: I do.

21 MR. GARY HARVEY: Yeah.

22 MS. BRENDA CUNNINGHAM: I changed  
23 the bylaws. You all requested that the meeting start

1       at 5:00, so I had to change the bylaws. And they're  
2       in your packet.

3                       And you guys also need to shake the  
4       bushes and talk to your friends about becoming a RAB  
5       member, because you're still one short, and  
6       applications are in the packet.

7                       MR. GARY HARVEY: We would entertain  
8       a motion from Penn --

9                       MR. PENN WILSON: I'll move for an  
10      adjournment.

11                      MR. GARY HARVEY: -- for an  
12      adjournment.

13      (Whereupon, the motion was adjourned at 6:10 p.m.)

14

15

16

17

18

19

20

21

22

23

1 C E R T I F I C A T E

2 STATE OF ALABAMA)

3 CALHOUN COUNTY )

4

5 I, SAMANTHA E. NOBLE, a  
6 Court Reporter and Notary Public in and for The  
7 State of Alabama at Large, duly commissioned and  
8 qualified, HEREBY CERTIFY that this proceeding was  
9 taken before me, then was by me reduced to shorthand,  
10 afterwards transcribed upon a computer, and that the  
11 foregoing is a true and correct transcript of the  
12 proceeding to the best of my ability.

13 I FURTHER CERTIFY this proceeding  
14 was taken at the time and place and was concluded  
15 without adjournment.

16

17

18

19

20

21

22

23

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

IN WITNESS WHEREOF, I have hereunto  
set my hand and affixed my seal at Anniston, Alabama,  
on this the 10th of December, 2005.

SAMANTHA E. NOBLE  
Notary Public in and for  
Alabama at Large

MY COMMISSION EXPIRES: 11-14-2009.

P.O. BOX 544  
OHATCHEE, AL 36271  
256-892-0591  
FAX 256-892-3001