

RESTORATION ADVISORY BOARD

FORT McCLELLAN, ALABAMA

* * * * *

Taken before SAMANTHA E. NOBLE, CCR, a
Court Reporter and Commissioner for Alabama at Large,
at Fort McClellan, Alabama, on the 15th day of April
2013, commencing at approximately 5:05 p.m.

R E P O R T E R ' S I N D E X

CAPTION SHEET	1
REPORTER'S INDEX	2
RESTORATION ADVISORY BOARD	3-90
CERTIFICATE91-92

1 MR. SCOTT BOLTON: We'll call
2 the roll as we go. So, here we
3 go. I am here. Ed is not,
4 obviously, Kimbrough.
5 Mr. Buford? Phillip?

6 MR. PHILLIP BURGETT: Here.

7 MR. SCOTT BOLTON: You're
8 here. Dr. Cox is excused.
9 Mr. Elser?

10 MR. JEROME ELSER: Here.

11 MR. SCOTT BOLTON: Mr. Hall,
12 not. I haven't seen Mary
13 Harrington or Gene. Mike
14 Kimberly is excused.

15 Jim Miller, for those of you
16 that don't know, has resigned, I
17 guess, coincident with his
18 retirement or pending
19 retirement.

20 MR. BURGETT: That's correct.
21 He sends his regards. He hates
22 to go away, but he's going to be
23 in full-time farming now.

1 MR. SCOTT BOLTON: So -- is
2 that right?

3 MR. BURGETT: Yeah.

4 MR. SCOTT BOLTON: John Pearce
5 is excused. Dr. Steffy and Mr.
6 Thompson, I don't see them here,
7 either.

8 I guess, for the record, Karen
9 Pinson from The Guard is here,
10 Gerald Hardy from Matrix is
11 here, and Brandi Little is here
12 from ADEM.

13 If we can, if you don't mind,
14 let's, starting with Brenda
15 Cunningham here, let's run down
16 the line there and let the
17 guests introduce themselves.

18 MS. BRENDA CUNNINGHAM: Brenda
19 Cunningham, transition force.

20 MS. LISA HOLSTEIN: Lisa
21 Holstein, transition force.

22 MS. SARAH CLARDY: Sarah
23 Clardy, U. S. Fish & Wildlife

1 Service.

2 MR. GREG QUIMBY: Greg Quimby,
3 AECOM.

4 MR. JOHN HALL: John Hall,
5 Anniston Water Works.

6 MS. MARY RODGERS: Mary
7 Rodgers, soon to be with U. S.
8 Fish & Wildlife Service.

9 MR. SCOTT BOLTON: Well, we do
10 not have a quorum, so we
11 basically cannot conduct
12 business, so we are out of luck
13 on that, as far as approving,
14 really, the biggest item would
15 have been, what, the amended
16 bylaws, wouldn't it? The
17 changes?

18 MS. BRENDA CUNNINGHAM: That
19 and two new members, voting them
20 in.

21 MR. SCOTT BOLTON: Right,
22 voting them in. So, I guess we
23 kick that can down the road

1 again for another six months
2 now, because we are on a
3 semi-annual basis, just to
4 remind everyone.

5 So, we do have -- since we
6 don't have an ALDOT
7 representative here, do we? We
8 do not.

9 But we do have a program
10 today. So, I guess what I'd
11 like do is, I want to introduce
12 Greg Quimby from AECOM.

13 Now, what Greg and his company
14 are doing is they're doing a
15 remedial investigation and
16 feasibility study for munitions.
17 Okay. It's a MEC operation.
18 And the reason I want to
19 emphasize that is that we have
20 some other RI/FS, as we call
21 remedial investigation
22 feasibility studies, going on
23 for the haz waste constituents,

1 primarily metals, as most of
2 y'all are aware. But this is a
3 MEC RI/FS, as we call it.

4 Previously, we had been doing
5 a lot of the MEC investigation
6 and characterization through a
7 slightly different process
8 called an EE/CA, engineering
9 evaluation, was is it, cost
10 analysis?

11 MS. LISA HOLSTEIN: Cost
12 analysis.

13 MR. SCOTT BOLTON: And
14 basically, we decided we
15 probably couldn't get the level
16 of data delineation and
17 everything else that we wanted
18 out of that process, and so we
19 decided to -- made the decision
20 to truncate that, and do an RI,
21 do an RI/FS.

22 And over the years, that's
23 what the MMRP, the military

1 munitions program has gone into,
2 using the same language as the
3 CERCLA remediation process. So,
4 it adds a little bit of
5 confusion.

6 But what Greg's company is
7 doing is an RI/FS. And what
8 they're going to do -- what
9 their mission is to do is to
10 basically characterize nature
11 and extent of the munitions that
12 we have in the Army cleanup
13 area, which is inside the Fish &
14 Wildlife Refuge.

15 And once that happens, then,
16 of course, we'll have the -- be
17 able to do a lot tighter cost
18 estimating and some other things
19 and cleanups and so on, as well.

20 We will continue, even while
21 they're doing their RI/FS -- we
22 will continue to do interim
23 removal actions and so on, as --

1 kind of in parallel. That's
2 part of an agreement that Army
3 and Fish & Wildlife Service has,
4 that we're not going to stop
5 things, that we'll continue to
6 go on.

7 And we do have a company out
8 in the field, as we speak,
9 working on an interim removal
10 action. We'll talk about that
11 some more in the Army report.

12 But anyway, I would like to
13 introduce Greg Quimby, and just
14 let him go ahead and do his
15 presentation on the RI/FS and
16 what we're intending by it.
17 Greg, it's yours.

18 MS. BRENDA CUNNINGHAM: Scott,
19 can I interrupt you for a
20 second?

21 MR. SCOTT BOLTON: Okay.

22 MS. BRENDA CUNNINGHAM: Back
23 to Shannon --

1 MR. SCOTT BOLTON: Okay.

2 MS. BRENDA CUNNINGHAM: -- he
3 wasn't going to come and
4 brief -- you all had -- the RAB
5 had asked for an update --

6 MR. SCOTT BOLTON: I'm sorry.
7 You're right. The map.

8 MS. BRENDA CUNNINGHAM: But
9 there is a map in here that
10 tells you what's happening, when
11 the bypass is going to -- I
12 didn't want you to be all
13 confused, because you know it's
14 in order.

15 MR. SCOTT BOLTON: Yeah.
16 Sorry.

17 MS. BRENDA CUNNINGHAM: Okay.

18 MR. SCOTT BOLTON: No. That's
19 a good point.

20 If you look in your books
21 there, or your handouts, rather,
22 you will see it. And I guess
23 they're going to come up with

1 their, what, base and paving
2 contract in June or something,
3 which I think is what he said
4 before.

5 Greg, on to things that are
6 more directly --

7 MR. GREG QUIMBY: Good evening
8 everyone. My name is Greg
9 Quimby. I'm going to be the
10 project manager for the RI/FS
11 that's conducted in Charlie
12 area. So, I've put together a
13 summary of the historical work
14 that's been done to kind of give
15 everyone a starting point for
16 where we're picking up, and
17 then an outline of our technical
18 approach for how we're going to
19 plan to, as Scott said,
20 delineate the munitions that are
21 onsite and determine the nature
22 and extent of the munitions
23 impacts.

1 So, this is a timeline of the
2 work that's been done. There
3 has been two parallel tracts in
4 red that shows the work that's
5 been done on the munition side.
6 Simultaneous to that in green
7 shows the work for the HTRW
8 investigations that have been
9 conducted, as well.

10 Just the key things to note is
11 in 1998, that was -- the initial
12 HTRW study was an environmental
13 baseline survey. And that has
14 been the tract that all the HTRW
15 investigation has followed to
16 date.

17 The EBS identified fifty-four
18 ranges that were applicable to
19 Charlie area. And they've all
20 been investigated.

21 In 2001, the Army conducted an
22 ASR, which is an archive search
23 report. And that also

1 identified ranges that were used
2 for training.

3 And the two documents, the ASR
4 and EBS, they, for the most
5 part, coincided. But just from
6 the difference in time and the
7 difference in the analysis that
8 was conducted, there were some
9 variations in that some ranges
10 were identified in the ASR that
11 weren't previously identified in
12 the EBS. So, that was, you
13 know, something that's been
14 resolved, you know, through the
15 course of work that's proceeded
16 so far.

17 Just some things to know. On
18 the munitions side, the chemical
19 warfare material EE/CA, and then
20 a subsequent removal action was
21 conducted initially.

22 And then, after that, an EE/CA
23 for conventional munitions was

1 conducted. It was initiated
2 originally in 2004. And then
3 some supplemental fieldwork was
4 done in 2010. And that was the
5 part that, you know, at the
6 time, the DOD had transitioned
7 from an EE/CA process to address
8 the munitions to a more -- they
9 transitioned into following the
10 CERFA process, which is where
11 the RI comes from, and, you
12 know, why we're pursuing that
13 now.

14 And then, this shows here some
15 of the interim removal actions
16 that were conducted, a removal
17 action for Bains Gap Road, the
18 roads, firebreaks and high-use
19 areas throughout the site. And
20 then, there were eight more
21 selected sites that were cleared
22 in 2011.

23 And currently, there are four

1 other interim removal action
2 areas that are going on right
3 now.

4 So, this is just a snapshot of
5 the HTRW investigations that
6 have been conducted. Fifty-four
7 of the ranges that were
8 identified -- or fifty-four of
9 the Fort McClellan ranges are
10 applicable to Charlie area. And
11 I should say fifty-four -- there
12 were ranges and also other
13 parcels that were identified
14 that are located in Charlie area
15 that necessarily weren't -- not
16 necessarily used for training,
17 but were used for other issues
18 that would raise potential
19 environmental concerns that were
20 investigated.

21 So, so far ADEM has concurred
22 with no further action for
23 thirty of the fifty-four. One

1 is still under review. And then
2 for twenty-three of the ranges,
3 they've proceeded into the RI
4 phase for HTRW contaminants.

5 So, based on the initial
6 results, there was one soil
7 removal action that was
8 conducted. Range twenty, 2.3
9 acres were impacted with metals.
10 And that's the area where the
11 Fish & Wildlife Services put
12 their facility. So, that's why
13 that area was removed so far.

14 There are four other areas of
15 known soil impacts that were
16 delineated during these
17 investigations. And I have
18 slides to show where they're
19 located.

20 And then, really, the soil
21 impacts that were identified
22 were related to small arms
23 ammunition contaminants, metals

1 like lead, antimony, copper,
2 those were the contaminants that
3 were primarily identified as
4 above background and site
5 screening levels.

6 There was one location of
7 impacted groundwater, and that
8 was in the training area, 24
9 Alpha. And the two contaminants
10 there were benzene and
11 chlorinated volatiles, which is
12 a group of contaminants. And
13 I've got a slide that shows
14 those plumes, as well.

15 So, this is the range twenty
16 in blue. It shows the area that
17 was excavated for soils -- for
18 metals contamination in soil.
19 There were -- just to -- as a
20 point of reference, this is the
21 fenced area where the Fish &
22 Wildlife facility is.

23 So, basically, they fired into

1 the side of the mountain here,
2 and that's where the soil
3 impacts were. There was one
4 other location off to the
5 southwest that was excavated, as
6 well.

7 These -- this slide shows the
8 soil impacts that were
9 associated with other ranges.
10 This is on the northern side of
11 Charlie area. This was a former
12 81mm mortar range shown in red
13 and a small arms firing range
14 shown in green. And you can see
15 the magnitude of the soil
16 impacts are shown -- the yellow
17 points are the individual
18 sampling locations where soil
19 samples were collected as part
20 of the delineation process.

21 These were the small arms
22 ranges that are just south of
23 Bains Gap Road. This is Bains

1 Gap Road here.

2 So, again, you know,
3 same -- same color scheme for
4 the magnitude of the soils
5 impacts.

6 One other thing to note on
7 this slide here, the area that's
8 shaded in light tan, that is an
9 area that's designated by the
10 Fish & Wildlife Service for
11 sensitive forest managements.
12 So, that's one of the proposed
13 reuse for the area is dedicated
14 for that. There is some
15 sensitive species that are
16 present in that location.

17 These are the small arms
18 ranges that were located on
19 the -- in the Choccolocco
20 Corridor that are east of the
21 North/South Ridge Road.

22 And then the last area of soil
23 impacts is -- this is the Range

1 24 Alpha area.

2 And that's also the same
3 location of the groundwater
4 plume. You can see in purple is
5 benzene, and that was delineated
6 to about one -- one PPB, and the
7 total chlorinated is about
8 ten -- ten parts per billion.
9 And that's shown in the light
10 blue.

11 So, moving on to the previous
12 MEC investigations that were
13 conducted. From 1999 to 2002,
14 was when the CWM EE/CA was
15 conducted.

16 The only chemical training
17 that was done in Charlie area
18 was in that training area 24
19 Alpha. That was also where the
20 3X scrap removal was conducted.
21 And basically, that consisted of
22 excavation of the previous
23 rounds that were used for

1 chemical munitions training.

2 And, just to note, when they
3 did that, there was no chemical
4 agent detected during that
5 removal. So, the results showed
6 that everything that they did
7 recover was decontaminated prior
8 to the site being
9 decommissioned, which
10 corresponds to the previous
11 reports that were submitted.

12 And then the Charlie area wide
13 EE/CA was initiated in 2002.
14 Based on that, and then the
15 supplemental work that was
16 conducted in 2010, there were
17 four interim removal
18 actions -- or I'm sorry -- four
19 interim removal action areas
20 that were identified.

21 And then basically, you know,
22 just from the vast amounts of
23 data that was previously

1 collected from both the EE/CA
2 investigations and the removal
3 actions, we really have a good
4 starting point to pick up with
5 the remedial investigation now.

6 We've gone through the data,
7 and a lot of it we can use, some
8 of it we can't. But basically,
9 from the data, we were able to
10 identify where we have a pretty
11 good understanding of the former
12 impact areas or the former
13 target areas were.

14 And basically, what we did
15 was, we've identified that based
16 on the munitions type that were
17 found. We've categorized them
18 into either rocket
19 grenades -- I'm sorry, rockets
20 or rifle grenades, mortars,
21 projectiles, and then what we're
22 classifying as ground-type
23 training, which is pyrotechnics

1 and things of that nature.

2 And we can see, based on the
3 results, that we've got
4 significant areas where each of
5 them are located. And I've got
6 some slides to show you how
7 we've outlined that to develop
8 our approach going forward to
9 continue the investigation.

10 These are the areas that have
11 been subject to removal action.
12 The light pink are what has been
13 conducted so far. And then, the
14 darker shade is the areas that
15 are currently, you know, in the
16 process of being cleared right
17 now.

18 And then these next few slides
19 just show the results from the
20 previous investigations and the
21 removal actions overlaying with
22 the ranges and also the cleared
23 areas.

1 You can see here the light
2 blue lines and squares are where
3 the previous investigation was
4 conducted. So, that kind of
5 gives you an idea for what the
6 footprint of the previous
7 investigation was, and then,
8 overlaid with what was found.

9 And they've been categorized,
10 based on color, based on the
11 four types of munitions that
12 we've identified. So, we've
13 highlighted that.

14 And then the red items are
15 where actual -- either
16 unexploded ordnance or actually
17 -- or discarded military
18 munitions were encountered. And
19 those are what's the primary
20 concerns, because those are what
21 is live.

22 Everything else is
23 characterized as munitions

1 debris, meaning that it's free
2 of an explosive hazard. So, we
3 wanted to record that data,
4 because the munitions debris
5 tells us a lot about, you know,
6 what types of munitions are
7 located where. So, it gives us
8 a good idea of the spatial
9 distribution, and we can kind of
10 back calculate, you know, where
11 the training was conducted and
12 what type of munitions were used
13 in that training.

14 But then the -- what the real
15 goal of the RI is to delineate
16 where all the MEC items are,
17 which is what presents the
18 explosive hazard. And that's
19 ultimately what we want to
20 remove in the future.

21 So, these are the ranges that
22 are in the northwest corner of
23 Charlie area.

1 This was the former 81mm
2 mortar range. As you can see,
3 there's a spatially dense area
4 of previously encountered mortar
5 munitions in that area. So,
6 that's the case where the
7 results of the previous
8 investigations correspond with
9 the reported use of the range,
10 and what, you know, provides a
11 lot of information for us as to
12 where we need to do some further
13 investigation to decrease the
14 spacing between some of the
15 previous work that was done.

16 These were the ranges that
17 were south of Bains Gap Road.
18 And you can see here, there's a
19 significant amount of clearance
20 that has already been done in
21 these areas.

22 These are on the western to
23 southwestern portion of Charlie

1 area.

2 The other thing, too, that is
3 not included on this slide, but
4 one thing we've also looked at
5 is Matrix has done clearance on
6 Bravo area and Alpha area, which
7 encompass the majority of the
8 western border with Charlie
9 area. So, we have incorporated
10 their data, and basically
11 characterized it into the same
12 four munitions types, you know,
13 as we have for Charlie area.
14 And that's helped us to get a
15 very good understanding because
16 we've got all the data on the
17 west, so we're able to use that,
18 you know, to fill any data gaps
19 and give us a good site-wide
20 perspective so that we're not
21 just focused on Charlie area, we
22 can see, you know, where the
23 training has crossed between

1 Charlie area and Alpha and Bravo
2 areas, as well.

3 And this is the 24 Alpha
4 training area. And again, you
5 know, this was where the 3X
6 scrap removal -- removal action
7 was conducted for the chemical
8 munitions. And then there were
9 also some removal actions for
10 conventional munitions conducted
11 here, as well.

12 So basically -- so our
13 approach going forward -- this
14 is just a summary of all the
15 environmental or HTRW samples
16 that were collected to date.

17 Because all the previous
18 contamination was delineated
19 during the -- either through the
20 site inspection or remedial
21 investigation work, our work
22 going forward for that is pretty
23 limited.

1 One of the issues -- in
2 looking through the data, the
3 EPA has come out with a new
4 analysis for explosives, and
5 this came out through the
6 process of when the contractor
7 that was doing the HTRW
8 investigations -- it came out
9 basically through the midcourse
10 of work. And when the EPA
11 issued the new guidelines for
12 the explosives analysis, there
13 were three new compounds that
14 were added to the list that were
15 not included.

16 So, one of the things that we
17 looked at were, you know, what
18 are the potential data gaps
19 associated with not analyzing
20 for those three compounds
21 previously.

22 And then, you know, based on
23 the results of the previous

1 work, you know, we evaluated
2 whether or not there were
3 significant data gaps enough
4 that would warrant us to go back
5 out and collect additional
6 samples, just to close the loop
7 on that.

8 So, we looked at all
9 fifty-four ranges, and we
10 determined that there were three
11 that we said we thought did
12 warrant this additional
13 investigation, primarily based
14 on the dimensions of the range,
15 the type of firing that was
16 conducted there, the types
17 of -- the types of small arms
18 ammunition that was used.

19 And, you know, we basically
20 decided, was there a possibility
21 or not that the site screening
22 level could have been exceeded
23 for those three compounds. So,

1 we've recommended to ADEM that
2 we go out and sample three more,
3 just to collect additional data.

4 Just to note, of the three
5 compounds that were added to the
6 list, only two of the compounds
7 were actually present in any of
8 the munitions that were used in
9 Charlie area. So, we're really
10 only concerned with two. And
11 out of that, only one, which is
12 nitroglycerin, is present and
13 significant enough
14 compound -- or concentration
15 that we thought would warrant
16 additional investigation.

17 So, that's really the only
18 other work on top of the
19 previous SI and RI work that was
20 done that we're going to address
21 on the HTRW side of our RI.

22 And then in addition to that,
23 what will drive additional

1 sampling during our
2 investigation is if we identify
3 another source area of potential
4 munitions constituents
5 contamination, which would be,
6 you know, if we come across a
7 target area that wasn't
8 previously identified as one of
9 the ranges listed on either the
10 EBS or the ASR range inventory.
11 You know, that would warrant
12 additional investigation, just
13 to make sure there is no
14 explosives that leached out of
15 those munitions and impacted
16 site soil.

17 And then, in addition to that,
18 when we detonate munitions
19 items -- as we do our
20 investigation, as we uncover
21 munitions items, if it's live,
22 we'll detonate it just to render
23 it safe.

1 And then, what we also want to
2 do is we want to make sure that
3 that process doesn't present
4 chemicals into the environment
5 that would -- you know, that
6 would create an issue. So,
7 we'll do some sampling after we
8 do our detonation to make sure
9 that the RI process, itself,
10 doesn't introduce any impacts to
11 the environment.

12 And then, on the MEC side,
13 this slide here shows how we've
14 identified the potential target
15 areas based on the four munition
16 types.

17 What we've done is we've
18 researched historical training
19 data for the various munitions,
20 and we've looked at what were
21 the reported sizes of the impact
22 areas for each of the types.

23 And then we've taken those

1 dimensions and we've aggregated
2 the points to -- so, for
3 example, for the mortar range,
4 the average impact area size was
5 about six hundred to -- by eight
6 hundred meters.

7 So, we said, okay, you know,
8 worst case scenario, we'll take
9 each of these points where
10 either a mortar -- where a
11 mortar round was found, and
12 circle -- you know, if there are
13 any within eight hundred meters
14 of that point, you know, that
15 will delineate the area.

16 And that -- what we
17 chose -- or what we thought from
18 that approach would be, you
19 know, that would be where we
20 realistically would think an
21 impact area would be, based on
22 the reported size. You know, we
23 said, that's where we need to

1 look, as far as identifying, you
2 know, where all the items would
3 be.

4 And these slides here
5 show -- this includes the Matrix
6 data. So, you know, I think
7 it -- looking again at the
8 mortars, you know, there is a
9 lot found here and here. So,
10 you know, investigating here
11 would be reasonable to expect
12 that we would find more in that
13 just the pattern would continue
14 into Charlie area.

15 And then the same, green is
16 artillery. And you can see
17 that, you know, they found a
18 substantial amount west of
19 Charlie area. So, you know,
20 bounding our site to the east,
21 we'll be able to find where the
22 concentrated location of those
23 items will end.

1 So, taking all four of those
2 areas together, we've
3 consolidated them and determined
4 that that would be the
5 preliminary investigation
6 footprint. So, that would
7 encompass all the potential
8 target areas that were used.

9 And then the only thing on top
10 of that that we wanted to also
11 identify is that, you know,
12 those results work well for what
13 was found, but we thought, you
14 know, what would be the --
15 what's the error associated with
16 not finding something because --
17 not necessarily because there
18 were no munitions items there,
19 but it was because we don't
20 have -- we didn't look there.

21 So, what we did was we looked
22 to see, okay, what are the
23 spatial data gaps in the

1 previous investigation result.
2 So, the items in red show where
3 munitions item was encountered
4 previously.

5 In blue, that shows the
6 density of the investigation.
7 And then the black and gray are
8 the data gaps. So, basically,
9 you know, this slide shows, you
10 know, what was found compared to
11 where we looked for it.

12 And you can see areas here
13 that are a darker shade of gray
14 show where a high concentration
15 of munitions items were found,
16 but there is a low concentration
17 of investigative coverage, so
18 that represents a significant
19 data gap.

20 And we've used this tool to
21 determine, you know, on top of
22 what we think is there, based on
23 previous findings, what we think

1 might be there, you know, if we
2 focus in our -- you know, how we
3 try to find these items.

4 So, just overlaying the two,
5 you know, gave us an overall
6 footprint of where we're going
7 to conduct the RI investigation.
8 And that's highlighted in
9 orange.

10 So, basically, that's just
11 taking the known areas and the
12 potential data gaps, and the
13 results from that would be, you
14 know, what we feel will
15 conservatively estimate the
16 coverage required to identify
17 all the target areas that were
18 previously used.

19 So, just getting into how
20 we're actually going to conduct
21 the investigation. Basically,
22 throughout the footprint we're
23 going to conduct a series of

1 geophysical transects. That
2 will give us the subsurface
3 information for where we think
4 munitions will be located.

5 The actual spacing of the
6 transects will be designed using
7 statistical software that is
8 pretty standard for the
9 industry. It's based on
10 confidence intervals of, you
11 know, how narrow the transects
12 have to be, you know, in order
13 to achieve a certain confidence
14 that we'll have the area
15 sufficiently covered.

16 And then, basically, once we
17 get the geophysical results, it
18 will -- you know, we'll be able
19 to select areas that we think
20 are targets for investigation.
21 And then we'll go out and dig
22 those up.

23 And then, prior to starting

1 this, you know, we'll work with
2 ADEM, and we'll develop that
3 criteria so that everyone is on
4 the same page with -- you know,
5 we know that if it -- you know,
6 if it meets a certain threshold,
7 you know, that's going to
8 qualify it for investigation.

9 And then that way, you know,
10 everyone will be on the same
11 page and we'll all agree to what
12 would be the appropriate amount
13 of items that we'll have to dig
14 in order to verify the results.

15 And then, shown on this slide
16 here, the light blue represents
17 areas of the site that are in
18 excess of 40 percent slope. So,
19 those are -- because of the
20 terrain, those will be
21 investigated by basically
22 handheld instruments, which are,
23 you know, a safer and more

1 effective way to determine
2 what -- where the subsurface
3 anomalies are.

4 Everything that is less than
5 40 percent slope will be done by
6 digital geophysical mapping,
7 which is basically a machine
8 that's pulled on a cart. And
9 that collects the readings and
10 it provides an actual digital
11 copy of the results.

12 The analogue method is
13 basically, you know, you're
14 relying on the operator to
15 distinguish an audible sound.
16 So, it's not as detailed as a
17 method, in that you don't get
18 the actual digital record of the
19 results, but it's just a
20 situation where just the terrain
21 of the site makes it impractical
22 to conduct a DGM over all of it.

23 And then, because of that,

1 the -- for the analogue mapping,
2 all anomalies will be excavated
3 regardless. So, it adds a bit
4 of conservative measure, because
5 it's not as precise as the DGM.
6 There won't be a threshold for
7 investigation like there is with
8 the DGM. For AGM, you know, any
9 anomaly that we identify, we'll
10 dig it up to see what it is.

11 And then basically for the
12 end-state goals, you know, what
13 we want to do is we want to find
14 the nature and extent of the MEC
15 impacts in Charlie area.

16 The target areas that we're
17 going to identify will be
18 achieved at a 95 percent
19 confidence interval that we've
20 got the coverage required to be
21 able to identify them. And
22 that's based on the visual
23 sampling plan software.

1 And then, as far as being able
2 to delineate the MEC impacts,
3 we've got a maximum of two
4 hundred feet for the
5 delineation.

6 Any MEC that's encountered
7 will be disposed of onsite by
8 detonation. And then all
9 non-MEC munitions debris,
10 basically anything that is not
11 an explosive hazard will be
12 properly disposed of offsite.

13 And then, at the end of the
14 fieldwork, all the results will
15 be documented into an RI report
16 and consolidated with the
17 previous data that was collected
18 into a comprehensive geospatial
19 database for the project record.

20 So, this is -- looking
21 forward, this is the timeline
22 that we've got. Right now we
23 are in the draft work plan

1 phase.

2 We met with ADEM in February.
3 We've basically briefed them on
4 this approach and received some
5 initial comments.

6 So, hopefully, by the end of
7 the month, we'll be able to
8 submit to them a draft work
9 plan. It might be pushed out a
10 little bit. It might be more
11 towards May timeframe.

12 But basically, you know, we're
13 looking for ultimate work plan
14 approval some time, you know,
15 mid to late summer. And then we
16 expect to be able to start
17 fieldwork some time, you know,
18 probably late summer, early fall
19 timeframe.

20 With that, fieldwork should be
21 -- let's see -- yeah, so,
22 fieldwork should be wrapped up
23 then by winter timeframe. And

1 then, after that, we'll submit
2 the RI report, a feasibility
3 study report, and then the draft
4 proposed plan. We'll conduct a
5 public meeting for that.

6 And then ultimately, the end
7 state is to get a final decision
8 document for the site.

9 MR. PHILLIP BURGETT: How many
10 acres was in your total study?

11 MR. GREG QUIMBY: I want to
12 say it was -- about twenty-seven
13 hundred acres was -- if I
14 remember correctly. I want to
15 say it was about twenty-seven
16 hundred that was in the orange
17 area. I'd have to double check
18 to make sure, but it was about
19 that.

20 MR. PHILLIP BURGETT: What's
21 your best guess as to how long
22 it would take Matrix or whoever
23 to clean all that up?

1 MR. QUIMBY: Well --

2 MS. LISA HOLSTEIN: The Army
3 will be cleaning that up.

4 MR. SCOTT BOLTON: Yeah.

5 MR. GERALD HARDY: Matrix is
6 not doing the Charlie area.

7 MR. SCOTT BOLTON: Right.

8 MR. Greg QUIMBY: It's -- I
9 guess it just really depends on
10 what we find. You know,
11 the -- out of the twenty-seven
12 hundred acre area --

13 MR. PHILLIP BURGETT: I mean,
14 are we talking about years or
15 decades?

16 MR. GREG QUIMBY: Oh, uh --

17 MR. SCOTT BOLTON: Could be.

18 MR. GREG QUIMBY: Yeah --

19 MR. SCOTT BOLTON: And it's
20 not meant as a flippant comment.
21 What's going to drive that, to
22 some degree, or to a large
23 degree, is the funding. Okay.

1 So, one of the things that
2 quite frankly that I'm hoping
3 that Greg and company can do is
4 basically pay for themselves,
5 because I do think that by
6 having a lot more coverage, a
7 way tighter delineation and so
8 on, that I think we'll have a
9 very accurate picture of where
10 things -- where munitions are,
11 where they're not.

12 We already know what Fish &
13 Wildlife Service plans to do
14 with the areas. So, at that
15 point, we'll kind of take what
16 we gain from Greg, as to where
17 everything is, we sort of
18 overlay Fish & Wildlife's
19 planned use for it. And
20 that -- it's almost automatic at
21 that point, we now know what
22 level of cleanup that is needed
23 to -- would have to be

1 conducted. Okay.

2 So, that kind of tells us the
3 level of effort. And once we
4 can establish a level of effort,
5 at that point, now you can drive
6 a cost estimate, a pretty good
7 one, and get some idea as to,
8 you know, how long it's going to
9 take, because it's really going
10 to be a function of the
11 availability of funding.

12 Now, I think the DOD is
13 getting kind of tired of waiting
14 on some of this stuff, and they
15 really want to get it done, but
16 the issue is going to be, you
17 know, plain and simple, you
18 know, nobody has unlimited
19 dollars. And that's kind of
20 what's going on.

21 But the Army remains
22 responsible for the cleanup
23 that's inside the Fish &

1 Wildlife Refuge. The cleanup
2 that Matrix, Gerald and company
3 are doing is in the cantonment
4 area. And that's part of the
5 ESCA, as we call it, the
6 environmental services
7 cooperative agreement.

8 It's done by MDA, who is the
9 landowner, as well. It is
10 -- the funding is provided by
11 Army, though.

12 So, these are both pretty
13 substantial cleanup efforts.
14 Could well turn out to be
15 probably within the top three
16 that the Army's ever conducted
17 in the country, in all
18 probability. I don't know if
19 we're bigger than Ord, in terms
20 of dollars and cents or not,
21 so --

22 MR. GERALD HARDY: Let's hope
23 we don't take as long as Ord.

1 MR. SCOTT BOLTON: Really,
2 yeah.

3 So, that's -- and that's
4 another reason -- the remedial
5 investigation -- you know, we
6 talk about these things kind of
7 combined, remedial
8 investigation, feasibility
9 study -- but the remedial
10 investigation piece of it is
11 going to tell us the nature and
12 extent, you know, what do you
13 got and how much and where.

14 The feasibility study is
15 really, following the CERCLA
16 process, kind of presents your
17 options. Feasibility studies
18 are sort of a no brainer, a lot
19 of times when we're dealing with
20 munitions stuff, because it's a
21 function of, you know, dig it
22 up, blow it up, get rid of it,
23 you know, dispose of your scrap

1 and so on, appropriately.

2 So, there's not as wide a
3 variety of potential options
4 that you might have like you
5 would on more hazardous
6 waste-type cleanups.

7 But, like I said, the real
8 critical factor, I think, is
9 going to be getting a way better
10 handle. The approach that Greg
11 and company have come up with,
12 and the degree to which they're
13 going out in conjunction with
14 the mountains of previous data
15 that we have, I think is going
16 to give us a real good picture.
17 And then, we kind of go from
18 there.

19 But the timelines will all be
20 driven by just availability of
21 funds, quite frankly.

22 All right, moving along, I
23 guess. In terms of new

1 business, there is really no
2 business that we can conduct, in
3 terms of motions or anything.

4 But just for everybody to,
5 please, be aware, Jim Miller has
6 resigned. So, we now have
7 another opening.

8 Additionally, if you'll look
9 in your board packets, the
10 applications are in there,
11 right, Brenda?

12 MS. BRENDA CUNNINGHAM: Yes,
13 sir.

14 MR. SCOTT BOLTON: If
15 everybody would, please, be
16 aware of -- look at the -- we've
17 got applications on Bobby Foster
18 and Mr. John Hall. And if
19 everybody would take a -- at
20 least become aware of that.

21 I haven't had a chance to talk
22 to Brenda about it, but given
23 that we don't have a quorum

1 here, that we do have a couple
2 of things we need to get done, I
3 think that we have another
4 approach we might can use to get
5 a vote, if you will, on members.

6 MS. BRENDA CUNNINGHAM: And
7 Mr. Hall is here tonight.

8 MR. SCOTT BOLTON: Oh, I'm
9 sorry.

10 MS. BRENDA CUNNINGHAM: He
11 came, yes.

12 MR. SCOTT BOLTON: Okay. I
13 should have recognized you.
14 Apologies, John.

15 MR. JOHN HALL: No problem.

16 MR. SCOTT BOLTON: So, anyway,
17 moving on with -- if you would
18 be aware of those, because I
19 think we'll be in touch with you
20 sometime in the next couple of
21 weeks probably to remind
22 everybody and get everybody's,
23 maybe like a telephone vote or

1 something along those lines, to
2 get approval of new members.

3 The other thing is there is
4 some changes to the bylaws we
5 need to look at, as well. Even
6 though we haven't formally
7 approved them, I think we'll be
8 implementing them, particularly,
9 the meeting frequency. So,
10 remember, we've gone to
11 semiannual -- I guess we're
12 doing that by fiat, as opposed
13 to Democratically.

14 Some other things for
15 everybody to be aware of, I
16 guess, the administrative record
17 repository changes, the
18 locations and so on. Brenda has
19 put some stuff in here. It
20 pretty well tells you basically
21 it's at the center here at
22 Fort McClellan.

23 MS. BRENDA CUNNINGHAM: There

1 is no longer hard copies in the
2 Anniston Library, those are all
3 gone. We have most of our stuff
4 online on a website. And the
5 only other hard copy, besides
6 back in the back in our file, is
7 at JSU here on Fort McClellan,
8 so --

9 MR. SCOTT BOLTON: Which would
10 be your best shot. Good luck
11 trying to get into Brenda's, you
12 know, holy of the holy sanctuary
13 in there with the admin record,
14 trust me.

15 All right, I guess we will
16 move on to agency reports.
17 Brandi, do you want to do -- I
18 guess you will do ADEM for us.

19 MS. BRANDI LITTLE: Sure.
20 This has been six months, so
21 we've got about six pages or so
22 of documents that we've received
23 and documents that we've

1 reviewed. And over this time
2 period we received about
3 forty-two documents and we
4 reviewed about thirty-six of
5 them.

6 And I apologize, I left off
7 one of the Army documents on
8 here, which was the final FS for
9 Choccolocco Corridor that I got
10 the other day. And should have
11 a letter back really quickly.

12 I'm trying to think if there
13 were any important documents. I
14 think we finally finished up
15 most of the Baby Bains Gap Road,
16 and then turned it over to MDA
17 during this period. And we were
18 able to finalize five different
19 covenants for MDA during this
20 period.

21 So, I don't really think I had
22 anything else, unless anybody
23 has any questions.

1 MR. SCOTT BOLTON: Karen, I
2 guess you're up.

3 MS. KAREN PINSON: Okay.

4 MR. SCOTT BOLTON: For the
5 National Guard.

6 MS. KAREN PINSON: For the
7 National Guard.

8 I included a few maps this
9 time, just of figures to kind of
10 show you where contaminated --
11 groundwater contamination is on
12 Pelham Range. And so, the first
13 map just shows where Pelham
14 Range is located in Alabama and
15 in Calhoun County, and then
16 Pelham Range, itself,
17 with -- divided into the
18 training area -- the green lines
19 mark off the training areas on
20 Pelham Range. And so, the two
21 areas where we are treating
22 groundwater for contamination
23 right now are range K and range

1 J.

2 And then the next two figures
3 show the aerial extent of the
4 groundwater plumes on range J
5 and range K. So, they're
6 not -- there's -- the plumes, as
7 I've said before, are
8 very -- are small and well
9 contained within the boundaries
10 of Pelham Range.

11 And what we've done is inject
12 lactose into the groundwater
13 there to enhance the
14 bioremediation of the
15 chlorinated volatile organic
16 compounds that are in the
17 groundwater. And the lactose
18 provides a carbon source that --
19 and microbes that are naturally
20 occurring in the soils down
21 there and rocks, they feed on
22 the carbon, and then chew up the
23 volatile organic compounds.

1 And the sample -- and then we
2 sample every so often. ADEM
3 wants us to sample at least
4 annually right now. So
5 that's -- we've sampled four
6 quarters -- for four quarters
7 straight after we injected the
8 lactose. And then we're
9 supposed to sample annually
10 thereafter.

11 And our most recent sampling
12 was in November of 2011. And
13 things appear to be moving in
14 the right direction on the
15 groundwater there. The target
16 compounds are -- appear to be
17 decreasing, and some of the
18 daughter products are
19 increasing, which means that the
20 -- as the compounds break down,
21 they break down, they
22 dechlorinate, the chlorine atoms
23 drop off, and new compounds are

1 formed. And so, that appears to
2 be what's happening.

3 So, that's kind of where we
4 are on that. And ADEM reviews
5 our reports, our groundwater
6 monitoring reports.

7 And then we have another area
8 on Pelham Range -- and I didn't
9 show it, because we're not
10 through with the RI/FS, the
11 remedial investigation
12 feasibility study yet. But the
13 other area on Pelham Range is
14 just south of the range K. It's
15 in -- range K is over in the
16 western side of Pelham Range.
17 And so, the toxic gas area is in
18 that same -- within that same
19 training area. The green,
20 outlined marks are the training
21 area.

22 And the area of the toxic gas
23 that's contaminated -- I should

1 say the groundwater that's
2 contaminated, is south -- is in
3 the southern portion of
4 that particular training area.

5 But we're not through with the
6 remedial investigation
7 feasibility study, yet, so I
8 don't show the plume on the map.
9 But it's -- it again, is very
10 small in aerial extent. And
11 we're anticipating the same type
12 remedy, the lactose injection,
13 and the -- and then groundwater
14 monitoring and land use controls
15 to prevent -- obviously, we have
16 better control out here so
17 people aren't going to go out
18 and just willy-nilly drilling
19 groundwater wells. But we don't
20 allow use of the groundwater.

21 So, that's kind of where we
22 are out there.

23 MR. SCOTT BOLTON: Any

1 questions?

2 Gerald, I guess you'll update
3 us on McClellan Development
4 Authority.

5 MR. GERALD HARDY: Yes. I
6 think at our last meeting we've
7 been asked to provide some
8 updated maps. And we thought we
9 were going to delay that to the
10 next meeting, but we went ahead
11 and included them to the report.

12 MR. SCOTT BOLTON: Yeah. That
13 was kind of mine and Brenda's
14 doing. I guess we should have
15 briefed you up.

16 We realized that you were
17 going to go through it -- you'd
18 already provided the maps, so we
19 said, well, we'll just do it.

20 MR. GERALD HARDY: Well, I
21 realized that as we sit in here
22 that the HTRW maps are not -- or
23 the sites are listed by CERFA

1 parcel number, as we -- doesn't
2 really match up with my little
3 report, which is how we refer to
4 them. So, I apologize for that.
5 And I don't have a crosslink to
6 those to present to everybody.

7 But anyway, let's start.
8 Since we just had the
9 presentation on MEC work in
10 Charlie area, we'll look at the
11 munitions response site or the
12 MEC map that you have here. And
13 you can see Charlie is on the
14 map is to the right edge.

15 And you can see the work that
16 has been done basically,
17 the -- from Bains Gap Road north
18 is the Alpha area, and from
19 Bains Gap south is the Bravo
20 area. And then, of course,
21 basically, off the ridge top
22 over is Charlie area.

23 And we color coded this so you

1 can see what work has been
2 completed and what work is in
3 progress. Our ability to finish
4 that up, as Scott mentioned, is
5 based on the funding that we can
6 get. It's sort of been -- we
7 keep being asked by our MDA
8 board how soon could we finish
9 if we had the money. And we
10 have a schedule that, should we
11 get all the money, we could
12 finish in less than two years.

13 But that's a significant
14 amount of money that right now
15 the Army hasn't provided to us.
16 But we keep working with what we
17 have.

18 And I guess one difference I
19 need to point out, we're doing
20 the work for MDA under RCRA
21 authorities and not CERCLA
22 authorities.

23 MR. SCOTT BOLTON: Which makes

1 -- basically, the state is the
2 lead agent authority there, and
3 under CERCLA it would be EPA.

4 MR. GERALD HARDY: But also
5 under RCRA, we don't have to
6 formal draft and final draft and
7 all. We can get a document
8 prepared and submit it. That's
9 one of our more recent goals, is
10 to get those -- trim the number
11 of documents, because, as you
12 can see from ADEM's report, how
13 many documents flood them to be
14 reviewed.

15 But most of the MRS work in my
16 report is probably in the
17 last -- starts at the bottom of
18 page two, goes into page three.
19 But the highlight -- I guess
20 some of the highlights for you
21 is that matches up with
22 the northern Alpha UXO, which is
23 at the very top up here, we

1 recently submitted the
2 after-action report, which was
3 really going to be in this next
4 quarter -- I think in your
5 report says we continued on it,
6 and we've managed to finish it
7 and submit that to ADEM.

8 MRS four, which is located
9 midway of the page, adjacent to
10 the Charlie area, the fieldwork
11 has continued there. And I
12 guess I need to provide a little
13 bit of explanation of why we
14 give fits and starts.

15 When we do the cleanup and
16 begin to really get into one of
17 the MRS areas, we do a surface
18 sweep, which people walk through
19 to look for anything laying on
20 the surface of the ground. And
21 then, once we know that that's
22 gone, then some of these
23 areas -- I think you saw a slide

1 in there where they pull a --
2 the digital mapping machine,
3 EM61 is one of the common ones.
4 Well, you can't pull it up
5 through thick brush. So, we
6 have to issue a contract for
7 money to go in and grub the
8 site. Which we look at anything
9 probably under three or four
10 inch trees and smaller is taken
11 to the ground, ground up.

12 So, that allows then the
13 surveyor to come in and lay off
14 grid lines throughout this whole
15 area that we're investigating.
16 And then, the -- and that's
17 staked so that the people either
18 doing handheld or with the
19 machine that's pulled can follow
20 that surveyed line, because we
21 laid the whole area out into a
22 grid pattern.

23 And when they find anomalies,

1 either the beep through the ears
2 or the recording with the EM61,
3 those sites are flagged --
4 actual flag put in there -- to
5 be dug up later.

6 But they'll go in it, and
7 they'll digitally map the whole
8 area for investigation, flag it.
9 And then there is a crew that
10 comes behind, digging
11 those anomalies up. It can be a
12 piece of pipe, a bucket of
13 nails, or an unexploded mortar
14 round.

15 And some of those will give
16 you the same signal when you're
17 doing it. It just depends on
18 how much metal.

19 One of the problems out here
20 in the entire McClellan is it's
21 a lot of naturally occurring
22 iron ore, which will also, since
23 you're reading -- trying to read

1 that metallic signal -- will
2 give you a lot of false
3 readings. So, you have to learn
4 to work through that.

5 So, when we try to start it's
6 not like, okay, we will get
7 money and do surface
8 sweep -- now you could probably
9 stop after surface sweep -- but
10 once you go in and grub an area,
11 you want to come in and map it
12 and dig, because otherwise, if
13 you stop spending money, it
14 grows back up, and you're going
15 to spend money to repeat the
16 same thing again.

17 So, when we talk about funding
18 and what we can do, it depends
19 on our cost estimate to go
20 through those steps and
21 get -- make sure we've got
22 enough money to start and finish
23 that.

1 The guys out in the field,
2 they've started wearing the
3 snake chaps, because it's gotten
4 warm and the snakes are out
5 crawling. And we go through a
6 lot of bug spray because
7 chiggers are very prevalent out
8 here at Fort McClellan.

9 But, like I said, the color
10 coding of the MEC, munitions
11 response sites, MRS sites, of
12 course, the clear or white is
13 still under investigation; red
14 has not started; blue would be
15 the fieldwork is complete;
16 yellow would be in progress.

17 And then, we also put in there
18 that -- because some of the
19 discussion from the previous
20 presentation, the areas that are
21 circled by a red line are high
22 density areas for -- that we
23 found. Those will be target

1 impact ranges. Like, if they
2 put out a hard target, an old
3 tank or something and shot at
4 it, that area is going to be
5 concentrated.

6 So, you can see from the map
7 how that work has been done.
8 And, of course, the other that's
9 in the gray color is really all
10 the buildings that are out here.

11 But we've submitted several
12 documents. And like I said,
13 we've got the work -- most
14 recent work with the money we
15 got for this year, I think is in
16 MRS -- doing some work in MRS
17 five, seven, and nine. And that
18 came from money we received in
19 this year, FY13 budget.

20 Let's see, I think -- any
21 questions about the MEC portion
22 of that?

23 The other map -- that I had to

1 apologize, because it's in CERFA
2 parcel numbers, and it won't
3 match up to my report -- is the
4 HTRW. And the reason we
5 separated the two is because we
6 can complete MEC or the
7 unexploded ordnance work, and
8 yet we haven't finished the
9 HTRW. And that's because the
10 funding priority for our -- what
11 funding we get, has been -- so
12 far has been on removing the MEC
13 or the unexploded ordnance,
14 because once you have that area
15 cleaned, then it's much easier
16 to go in and do your HTRW work,
17 as far as putting in wells and
18 sampling and doing other things.

19 So, the same color code scheme
20 exists for the HTRW, I think,
21 except here the green represents
22 the work that has been
23 completed.

1 And then blue represents
2 long-term monitoring or cap
3 maintenance, because under the
4 HTRW sites or the
5 landfills -- there were four
6 legacy landfills here at
7 McClellan. They were like
8 non-permitted landfills that
9 were disposal areas that were
10 also capped.

11 And so, some of the work that
12 was recently finished in the
13 last year was to make sure that
14 the legacy landfills and the
15 disposal areas were properly
16 capped and the boundaries
17 appropriately marked for that,
18 because we left waste in place.

19 I would point out one that is
20 going to require a lot of work
21 and that's landfill three. And
22 luckily, it is marked landfill
23 three on the map. It's sort of

1 in the top center of that
2 picture, that's --

3 The reason that that one is
4 important, it is a -- it has a
5 groundwater plume that goes off
6 of the McClellan site. It's in
7 the roadway of Highway 21 and
8 even across. And it's not been
9 fully investigated.

10 There is one active landfill
11 right to the right of that.
12 You'll see a blue area, 81(5),
13 which is the old landfill four.
14 It was -- has been capped.

15 The 175(5) is the active
16 landfill on the property
17 that's -- we call that the
18 industrial landfill. And that's
19 the one that primarily takes --
20 when MDA goes in and demolishes
21 some of the old buildings, that
22 material goes into the
23 industrial -- what we're calling

1 the industrial landfill.

2 It still retains a permit from
3 ADEM. But it's not really
4 taking waste, as you would
5 think, but it's more
6 construction demolition
7 material.

8 One other thing I would point
9 out that we accomplished since
10 we last met, if you'll look at a
11 series of red dots that are
12 center of the page to the left,
13 that's 70Q, 71Q, 75Q, that's
14 called the Iron Mountain Road
15 ranges. And that's the steep
16 bank where they did small arms
17 firing. They fired into the
18 bank.

19 Well, there is a lot of
20 exposed red dirt. Some of that
21 material, when the storm
22 water -- there is not an active
23 excavation there -- but when the

1 storm water would come, the
2 water would run off, it would
3 pick up sediment off of this
4 hillside.

5 It was combining with, at the
6 time, water that was running off
7 the ALDOT work on the roadway,
8 which -- before they got grass
9 established, and it was ending
10 up in Cane Creek and running as
11 muddy water through the golf
12 course.

13 We -- there was some
14 complaints filed. ALDOT looked
15 at that. We looked at that and
16 realized that we did have a flow
17 of water coming off those
18 ranges, and so we installed what
19 is called best management
20 practices or BMPs, which was a
21 series of silt fences and hay
22 bales to slow down and stop that
23 water.

1 And our -- we go out every
2 time there is a significant rain
3 event and look at that. And
4 we've pretty much stopped the
5 sediment leaving from the Iron
6 Mountain Road ranges. That's a
7 highlight, I guess, from HTRW.

8 And, of course, the ones we
9 have to do, as you'll read
10 through here, groundwater
11 monitoring, we continue to do
12 that. And then we make those
13 reports to ADEM.

14 I've taken too long, but if
15 there are any questions, I'll be
16 glad to try to answer them.

17 MR. SCOTT BOLTON: Thank you,
18 Gerald. We'll go through the
19 remaining Army stuff that we
20 haven't already talked about.

21 As y'all are aware, the Army
22 cleanup, responsibility for the
23 cleanup is in the Fish &

1 Wildlife Service refuge.

2 I guess about -- the Charlie
3 area is about eighty-six hundred
4 acres total. But the actual
5 obviously munitions areas and so
6 on are less. But it's a good
7 chunk of the refuge, plus some
8 of the Choccolocco Corridor.

9 Currently, we have got a
10 removal action underway. It
11 actually started 1 April. It's
12 independent of the RI work that
13 Greg's company is going to do.

14 So, come late summer, we will
15 probably have two intrusive
16 operations going on
17 simultaneously. We'll have
18 removal actions where people are
19 digging up already known
20 munition areas and so on, and
21 then we'll have Greg's folks who
22 are doing the investigation,
23 running transects. And,

1 obviously, as he said, we're
2 going to dig all anomalies
3 period. And so -- because that
4 way you can ground crew that you
5 know what you've got. So, we
6 will have both of them going.

7 Currently, the MEC removal
8 area is -- originally, it was
9 eighty-eight acres that we had
10 funded. And we actually used
11 last year's dollars to get that
12 process rolling. We had enough
13 money to fund about eighty-eight
14 acres.

15 And what we decided to do with
16 the FY13 funding is we basically
17 just added it to that contract.

18 We have learned over the years
19 that when we do one of these
20 contracts for any kind of work,
21 not only do we say, okay, we
22 want you to do this many acres
23 and do whatever it is, the

1 contract requires we also
2 typically build into the
3 contract kind of a lot of single
4 acre pricing and so on and
5 individual unit pricing for
6 various activities for just this
7 reason. We found that when you
8 get lucky, or if you have
9 additional funding, if you run
10 into two fiscal years, then
11 instead of having a lot of
12 different administrative
13 contract actions and so on, you
14 just automatically execute, you
15 know, buy you twenty more acres
16 or whatever it is you have
17 funding for.

18 So, what has happened is, that
19 original eighty-eight acres,
20 when we married up the FY13
21 funding with it, now became a
22 183.14 acres. The majority of
23 it's going to be clearance to

1 depth, but -- to depth of
2 detection, but there are some
3 other areas, as well.

4 There are -- the fact is,
5 they've already started -- I
6 guess they're up there doing
7 surface clearance as we speak,
8 in the area that Greg was
9 talking about, way up on the
10 northern boundary, if you look
11 at the map above John and Greg's
12 head up there, kind of at the
13 very top, that little green spot
14 up there, as we speak, is where
15 they are.

16 They're doing the surface
17 clearance. And, again, the
18 process is the same one that
19 Matrix follows with their
20 contractors. You know, you'll
21 do your surface clearance, and
22 you'll get in there and you'll
23 do your brush removal. And then

1 you'll be able to survey it and
2 grid it out, and away you go
3 with your removal action. So,
4 they're starting there and
5 they'll be kind of working their
6 way south.

7 Obviously, when you have a lot
8 of actions going on, it takes a
9 good bit of coordination, but
10 it's not -- it has not been a
11 problem. I don't anticipate any
12 difficulties.

13 Our two contractors,
14 obviously, will coordinate with
15 each other. And we, at this
16 point, coordinate pretty
17 routinely with Matrix. So, make
18 sure everybody doesn't step on
19 each other and so on.

20 So, it's -- I've been very
21 pleased. It's been a real
22 cooperative effort.

23 As Greg was pointing out,

1 we're additionally doing an
2 RI/FS. And, as he pointed out,
3 the work plan is underway, and
4 it will be submitted sometime in
5 the very near future.

6 In addition to that, we have a
7 five-year review. Any place
8 that we've got a response that's
9 been completed, we have a
10 requirement under CERCLA to
11 review it every five years. And
12 so, now we're on our -- this is
13 our second cycle in five-year
14 reviews?

15 MS. LISA HOLSTEIN: Uh-huh.

16 MR. SCOTT BOLTON: So, that's
17 coming up, or that's underway,
18 if you will. There's a lot of
19 things that go on there.

20 That contract action was
21 actually on the -- it was about
22 a year and a half old. They've
23 already done document reviews.

1 They've done a bunch of
2 interviews. They've done site
3 inspections and so on.

4 And we're planning a public
5 meeting for what date in May
6 again? I messed it up -- I
7 forgot --

8 MS. LISA HOLSTEIN: It's
9 June --

10 MR. SCOTT BOLTON: Or June,
11 that's right.

12 MS. LISA HOLSTEIN: -- 6th.

13 MR. SCOTT BOLTON: This one is
14 June, okay. So, June 6th there
15 will be a public meeting in the
16 Anniston Meeting Center.

17 MS. LISA HOLSTEIN: We'll send
18 out notices to everyone.

19 MR. SCOTT BOLTON: Right.
20 There will be notices to
21 everybody at the RAB. There'll
22 be public notices, as well, and
23 so on.

1 And what the purpose of that
2 is, is to review all the
3 remedies that you already have
4 in place and the work that
5 you've already done. And you
6 review it and you make sure that
7 they -- it's still working. You
8 know, that basically the
9 remedies are still protective of
10 human health and the
11 environment. So, that will be
12 coming up, like we say, in June,
13 and we'll be sending notices out
14 on that.

15 Property transfers, we are
16 down to -- out of our
17 original main site -- out of
18 forty-two thousand acres of
19 Fort McClellan, the Army is down
20 to owning 21.89 acres. And it
21 would appear that these last
22 21.89 acres aren't going to take
23 as long as, you know, the other

1 forty-two thousand took.

2 Twenty-one thousand of the
3 forty-two, of course, were over
4 at Pelham Range -- or twenty-two
5 thousands acres, but -- so,
6 transferred a majority of
7 that to -- all that to the
8 National Guard.

9 But here on main post we had
10 eighteen thousand, seven hundred
11 and fifty acres, roughly. And
12 we've still got 21.89.

13 So, you can see where they
14 line up. We have less than an
15 acre that still needs to go,
16 that ultimately will go to
17 Anniston Water Works and Sewer
18 Board. And, hopefully, Phillip
19 will see that within his career.

20 And what's going on with that
21 is it's a corner of a site that
22 MDA is going to have to do, as
23 far as some haz waste stuff, and

1 so it's kind of held hostage to
2 that action a little bit.

3 And the other remaining
4 acreage all go to ALDOT. The
5 Iron Mountain Road addition that
6 several of you drove over coming
7 in, there is a ten acre chunk of
8 that that the Army still owns.

9 And that deed is in the
10 process of somewhere between
11 Army and the Federal Highway
12 Administration. I think the
13 last determination was Federal
14 Highway Administration has
15 decided they have to write the
16 deed and give it to ALDOT. So,
17 they are in that process. And
18 I'm not sure they quite share
19 the same sense of urgency that
20 we do, but nonetheless --

21 So, that -- hopefully, in the
22 near future, that 10.7 acres
23 will go and, you know, we'll be

1 down to 11. whatever, 82 or
2 something.

3 The 10.8 acres at Highway 21,
4 basically, the reason we can't
5 transfer that is that's kind of
6 held hostage by the landfill
7 three work that Matrix is
8 developing, McClellan
9 Development Authority is doing.
10 And once they become remedy in
11 place, with their groundwater
12 plume and stuff, then that's
13 property that we can transfer to
14 ALDOT.

15 They've had an easement since
16 like 1972 on it to operate the
17 roadway and stuff, and that's
18 why, I mean, it was kind of one
19 of the asides. When we first
20 stood up this transition force
21 and people started looking into
22 things, we found out -- that was
23 one of the things they first

1 found out that was whoops, back
2 in the day they didn't transfer
3 fee simple transfers of
4 property, they just granted
5 easements forever. And, yeah,
6 so it turned out that the --
7 basically, the going from here
8 to Jacksonville northbound lanes
9 we still owned. So, that was
10 one of the transfers we did.
11 So, there is a little bit of
12 still a strip along the road
13 there that the Army owns.

14 And like I said, the
15 Iron Mountain Road addition, we
16 hope that that will be soon.

17 And so, that's all I have got.
18 Does anybody have any questions?

19 New programs ideas? If
20 someone has ideas, things that
21 they would like to see or hear,
22 that -- obviously related to the
23 cleanup here, please, let Brenda

1 know, myself know, Lisa.

2 And if we have no questions or
3 comments, then I guess we will
4 adjourn.

5 (Whereupon, the meeting was
6 concluded at 6:20 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

C E R T I F I C A T E

STATE OF ALABAMA)

CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, CCR, a Court Reporter and Notary Public in and for The State of Alabama at Large, duly commissioned and qualified, HEREBY CERTIFY that this proceeding was taken before me, then was by me reduced to shorthand, afterwards transcribed upon a computer, and that the foregoing is a true and correct transcript of the proceeding to the best of my ability.

I FURTHER CERTIFY this proceeding was taken at said time and place and was concluded without adjournment.

SAMANTHA E. NOBLE (ACCR 232)
Notary Public in and for
Alabama at Large

MY COMMISSION EXPIRES: 11-19-2013.