

1
2
3
4
5 RESTORATION ADVISORY BOARD

6
7 FORT McCLELLAN, ALABAMA

8
9
10 * * * * *

11 Taken before SAMANTHA E.
12 NOBLE, CCR, Certified Court
13 Reporter and Commissioner for
14 Alabama at Large, at
15 Fort McClellan, Alabama, on the
16 20th day of October 2015,
17 commencing at approximately
18 5:00 p.m.
19
20
21
22
23

1	<u>R</u> <u>E</u> <u>P</u> <u>O</u> <u>R</u> <u>T</u> <u>E</u> <u>R</u> ' <u>S</u>	<u>I</u> <u>N</u> <u>D</u> <u>E</u> <u>X</u>	
2			
3	CAPTION SHEET.		1
4	REPORTER'S INDEX		2
5	RESTORATION ADVISORY BOARD		3-80
6	CERTIFICATE.81-82
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			

1 MR. PHILLIP BURGETT: We'll
2 call the meeting to order.
3 Welcome everyone. We'll start
4 off with calling roll.
5 Mr. Buford?

6 MR. JAMES BURFORD: Here.

7 PHILLIP BURGETT: Dr. Cox?

8 MR. SCOTT BOLTON: I was going
9 to make him call you first.

10 PHILLIP BURGETT: Mr. Elser?

11 MR. JEROME ELSER: Here.

12 MR. PHILLIP BURGETT:
13 Mr. Foster? Dr. Harrington?
14 Mr. Howard?

15 MR. GENE HOWARD: Here.

16 MR. PHILLIP BURGETT:
17 Dr. Kimberly is excused.

18 Mr. Kimbrough? Mr. Hall?

19 MR. JOHN HALL: Hey there.
20 Present.

21 PHILLIP BURGETT: Mr. Pearce
22 is excused. Dr. Steffy is
23 excused. Mr. Thompson is not

1 here. And Mr. Turner?

2 Mr. Turner?

3 MR. JOHN HALL: He's excused.

4 MR. PHILLIP BURGETT: Excused,
5 yeah.

6 Okay, now we'll go to
7 introduction of guests. So,
8 could we start right here?

9 MR. MIKAEL SPANGBERG: My name
10 is Mikael Spangberg with Tetra
11 Tech, working for Zapata on the
12 new munitions response contract.

13 PHILLIP BURGETT: Thank you.

14 MR. JASON SHIFLET: My name is
15 Jason Shiflet, and I'm with
16 Zapata.

17 MR. MICHAEL WINNINGHAM: My
18 name is Michael Winningham. I'm
19 also with Zapata.

20 MS. SARAH DYER: I'm Sarah
21 Dyer. I'm with the Corps in
22 Huntsville.

23 MR. CHASE HAMLEY: Chase

1 Hamley. I'm with the Corps of
2 Engineers in Huntsville, as
3 well.

4 MR. GREG QUIMBY: Greg Quimby.
5 I'm with AECOM.

6 MR. PHILLIP BURGETT: Okay,
7 what we got here?

8 MS. JULIE ANGE: Julie Ange,
9 ADEM.

10 MR. GERALD HARDY: Gerald
11 Hardy with Matrix, representing
12 the MDA.

13 PHILLIP BURGETT: Got
14 Ms. Pinson.

15 MS. KAREN PINSON: Karen
16 Pinson, National Guard.

17 MR. PHILLIP BURGETT: All
18 right, has everyone had a chance
19 to look over the minutes from
20 the last meeting? Would be the
21 April meeting.

22 I don't guess we can do
23 anything with them, can we?

1 MR. SCOTT BOLTON: Why don't
2 we just go ahead and do it,
3 anyway, because, you know, the
4 quorum issue is those who are
5 present will vote.

6 PHILLIP BURGETT: Okay.

7 SCOTT BOLTON: Okay, so I'll
8 move that we approve as written.

9 MR. JAMES BURFORD: Second.

10 SCOTT BOLTON: Thank God. I
11 thought it was going to die for
12 lack of a second.

13 MR. PHILLIP BURGETT: All
14 those in favor?

15 SCOTT BOLTON: Looks like they
16 approved, all right.

17 MR. PHILLIP BURGETT: Shows no
18 old business. Does anyone have
19 any old business that's not
20 reflected by the agenda?

21 If not, we'll move quickly to
22 the programs. Mr. Quimby, I
23 guess you're up.

1 MR. GREG QUIMBY: Well, I
2 guess, while the presentation's
3 getting started, my name is Greg
4 Quimby. I was the project
5 manager for -- or am the project
6 manager for the remedial
7 investigation that we conducted
8 to delineate all the areas
9 requiring cleanup that is going
10 forth to the next contract.

11 So our fieldwork completed in
12 May. And we're in the process
13 now of documenting all the
14 results and preparing the
15 reports to follow the next
16 CERCLA phases to keep the site
17 going forward.

18 So the presentation that I
19 have is basically just on, you
20 know, what were the objectives
21 of the remedial investigation,
22 and then to present what we
23 actually did and to cover some

1 of the findings to lead into,
2 you know, how we came up with
3 the areas that will require to
4 be cleaned up of munitions.

5 The next slide is just
6 the -- this is more or less the
7 agenda for what I'll be
8 covering. It basically covers
9 all the objectives of the RI or
10 remedial investigation. And
11 I've got a slide or slides on
12 each of these that I'll go
13 through, so I'll cover them as
14 we go.

15 But basically, how -- when we
16 approach the remedial
17 investigation, we outlined these
18 objectives to the State, got
19 their concurrence so that we
20 would make sure that the data we
21 collected would be useful for
22 the end result in moving the
23 site forward in the cleanup

1 process.

2 MR. SCOTT BOLTON: Does
3 everybody recall what the
4 purpose of the RI was? It's to
5 define nature and extent of the
6 munitions contamination, for
7 lack of a better term, out in
8 the --

9 MR. GREG QUIMBY: Next slide,
10 please. So the first objective
11 was to figure out where we
12 needed to look to make sure we
13 adequately characterized the
14 site. So this map here shows
15 all the former ranges on the
16 installation.

17 We took all that data, we
18 compiled it, and basically, you
19 know, wanted to make sure we
20 were looking in the right place
21 so that, if there was any
22 potential contamination out
23 there, we were able to find it.

1 So, to use that -- or to
2 develop that, we used years'
3 worth of previous data that was
4 collected through various
5 investigations and cleanup
6 actions.

7 We took that data and relayed
8 it to, you know, how the former
9 ranges were oriented to figure
10 out, you know, where we should
11 look, based on the constraints
12 of the terrain and, you know,
13 where they physically would have
14 been firing into the area. And
15 then we also looked at
16 potentially previous data gaps
17 where, you know, just because we
18 don't think there might be
19 something there, you know, it
20 might have been because we just
21 were missing key data from that.

22 So we kind of took all that
23 into consideration. And these

1 blue lines here represent what
2 we actually covered. They're
3 called transects where, you
4 know, we basically walked, it
5 totalled to be about sixty-three
6 miles through the site in those
7 patterns and did the -- you
8 know, looked to see any kind of
9 evidence of munitions impacts.
10 And I'll get into a little bit
11 more of that in one of the later
12 objectives.

13 But this first step was to
14 really make sure we're looking
15 in the right place, to make sure
16 we actually find everything that
17 we're supposed to or that we
18 would want to.

19 Next slide. So, now this is
20 just a high-level view of the
21 results. It's -- the map is
22 color coded where -- red is
23 where there are a lot of

1 metallic objects that, you know,
2 represent munitions items. And,
3 you know, that's really what we
4 were looking for. The green is
5 areas where there really isn't
6 much in the ground.

7 So this was -- you know, based
8 on the investigation criteria
9 that we had, this was sort of a
10 once over the world of the
11 results.

12 And from this we know that we
13 were looking in the right place
14 because we can see all of the
15 really high dense areas where
16 there's a lot of metal in the
17 ground. You know, corresponds
18 to the former ranges or areas
19 that we knew from previous
20 investigations or removal action
21 that there is MEC out there. So
22 this verified that we really did
23 capture what we were supposed

1 to.

2 And there are some areas here
3 where you can see where it's
4 outside of a former range. And
5 those areas we're able to
6 justify because that's actually
7 a construction and demolition
8 debris landfill. So we've got
9 an explanation for -- there's a
10 lot of anomalies in that area,
11 but we know they're not
12 munitions related. So we're
13 able to use this and, you know,
14 take a step back when we were
15 done and say, okay, you know, we
16 did get adequate coverage and,
17 you know, we've got a high level
18 of confidence that, you know, we
19 found all the impacts out there
20 that we should have.

21 Next slide. So then the other
22 objective is, you know, in using
23 the transects, they were spaced

1 at a little over three hundred
2 feet apart. And we wanted to
3 make sure that our -- that
4 approach to the investigation,
5 we didn't miss anything in
6 between. So there's statistical
7 software that we used to come up
8 with that design that tells us,
9 you know, within a certain
10 confidence level, you know, how
11 far your transects should be
12 apart from each other.

13 And using that, what we did,
14 when we found -- when we got all
15 the results, we looked back at
16 the input that we used for that
17 statistical design to say, okay,
18 does it make sense.

19 One of the things that we used
20 was the thirty-seven millimeter
21 HE projectile. That was the
22 smallest item that we were
23 looking for. So that went into

1 the design calculation.

2 And the -- another key factor
3 was a density of a hundred
4 anomalies per acre, where we
5 assume -- up front we assumed
6 that anything that was less than
7 that was probably not a target
8 area -- not an area that we
9 would be focused on, as having a
10 high concentration of munitions
11 items. So that was sort of a
12 background number that we used
13 at the design up front.

14 And then, again, similar to
15 the first objective, when we got
16 all results and took a look
17 back, we wanted to validate that
18 the input to the statistical
19 design we used was appropriate.
20 And based on what we found, it
21 was.

22 So we know that -- it
23 validated the approach. And we

1 know that there -- you know,
2 there are no data gaps in our
3 work, based on some
4 inappropriate assumptions that
5 we used to design the
6 investigation footprint.

7 So, I think, yeah, the first
8 two objectives, yeah, basically,
9 satisfy that we looked in the
10 right place and we looked at
11 enough detail to find impacts,
12 if they really are there.

13 Next slide. This third
14 objective goes into -- or starts
15 to cover how we actually did the
16 investigation. So, basically,
17 over those sixty some miles of
18 transects, we put in survey
19 points every two hundred feet
20 that we used as guidelines so
21 that we could follow on the path
22 and know where we were going.

23 Then we cleared out some

1 vegetation from that path so
2 that we would have access and,
3 you know, wouldn't have anything
4 that would obscure the data that
5 we collected.

6 After we did that, we removed
7 any metal debris from the
8 surface, because what we were
9 really looking at -- I should
10 say, you know, we were concerned
11 what was on the surface, but I
12 think the items that posed the
13 most hazard are what's
14 underground, and that's what we
15 were -- you know, what we wanted
16 to focus on.

17 So we cleared the metal debris
18 from the surface, and then
19 followed up on those paths and
20 geophysical mapping, which was
21 what we used to put together the
22 maps that have the anomaly
23 densities.

1 So what that does is it's
2 basically a high-speed metal
3 detector that can tell if there
4 is metal objects in the ground.
5 And based on the response it
6 gets, either tell how shallow
7 they are or how big they are.
8 But that was what we used to
9 figure out, okay, you know,
10 there's something of interest in
11 the ground here that we know,
12 and we want to go look to find
13 out what that was.

14 So, you know, after we
15 established a criteria for what
16 that was, we went back out to
17 all those points and actually
18 dug 'em up to see, you know,
19 what that object was in the
20 ground that was causing that
21 response. And, you know, from
22 that, we're able to use the
23 result to say, okay, you know,

1 if it was a munitions item, we
2 would know. And, you know,
3 depending on the amount that was
4 in that area, we're able to
5 identify what areas are impacted
6 by munitions, what areas have
7 scrap metal in the ground that
8 isn't a concern, and basically
9 know -- you know, from that
10 statistical design, able to
11 project the spatial areas of the
12 munitions impacts at the site.

13 You know, all the items that
14 we -- that we excavated, we took
15 photo documentation of them. We
16 characterized them by what type
17 of munitions item they were, you
18 know, what depth they were. And
19 from that, we were able to kind
20 of put all the pieces of the
21 puzzle together to figure out,
22 you know, what's really out
23 there.

1 And then, because we didn't do
2 full coverage over the entire,
3 you know, three thousand some
4 acres, we did rely on
5 geostatistics to put together,
6 you know, the area -- or I
7 should say to define the areas
8 where there are high
9 concentrations of munition
10 items. And that's what we used
11 to define as an impact area, you
12 know, where they would have
13 repeatedly fired
14 high-explosives, high-explosive
15 ordnance into an area, you know,
16 that would present the greatest
17 hazard, you know, and thus
18 require cleanup.

19 So then -- so all of this work
20 was overseen -- you know, we had
21 an internal QC program that we
22 implemented to make sure that
23 our work was on track. We were

1 also overseen by the Corps, who
2 provided QA over our work. And
3 then, you know, ADEM audited all
4 the work, as well.

5 So, you know, all of this I'm
6 presenting now has been
7 thoroughly scrutinized, you
8 know, to make sure that, you
9 know, the results are valid, and
10 more importantly, that we've got
11 concurrence from all of the key
12 stakeholders.

13 Next slide. So then the
14 next -- this objective gets into
15 the -- you know, we have the
16 results of what was actually in
17 the ground. And, like I
18 mentioned before, we wanted to
19 filter out the areas that are,
20 you know, subsurface
21 construction debris.

22 One of the things we found out
23 there was, you know, based on

1 the geophysical response
2 threshold that we used, we found
3 a lot of areas that were just
4 small-arms bullets, just the
5 spent bullets from an old firing
6 range. And those, we weren't
7 really concerned with, because
8 they don't have any explosive
9 hazard.

10 So what we were focusing on
11 were, you know, what areas have
12 high-explosive munitions out
13 there that need to be cleaned
14 up.

15 So, when we filtered out the
16 results, ran it through -- VSP
17 is the geostatistical software.
18 It's a visual sample plan that
19 we used.

20 So, you know, when we refined
21 the analysis, you know, that
22 came up with nineteen areas
23 of -- you know, that were

1 suspected as containing a high
2 concentration of
3 munitions-related anomalies.
4 So, basically, these are the
5 nineteen areas that will have to
6 get cleaned up.

7 Now, when we looked at that,
8 we applied some professional
9 judgment, because, just relying
10 purely on the math doesn't take
11 into account things like
12 terrain. You know, certainly
13 we've got previous results that
14 we could look at that we wanted
15 to kind of make sure it made
16 sense.

17 So, what we ended up doing
18 was, we altered some of the
19 boundaries, based on a ground
20 truthing of the mathematical
21 results to figure out the actual
22 areas that we proposed for
23 removal action.

1 And on the next slide, it just
2 shows an example of one of the
3 areas -- it's this one
4 here -- how we did that.

5 The orange shaded area on this
6 figure is the actual
7 mathematical result of where it
8 said is the area with the
9 greatest concentration or with a
10 high concentration of munitions
11 impacts.

12 On here the blue represents
13 all the anomalies that we used
14 in our analysis. The red stars
15 are actual MEC items that are,
16 you know, high -- either
17 unexploded ordnance or -- they
18 basically represent items that
19 still had an explosive hazard in
20 them.

21 So what we did with this, as
22 far as providing professional
23 judgment is, we expanded the

1 areas out where -- you know,
2 this was an example where we did
3 find a MEC item. This was a
4 mortar that had explosives in it
5 still that was right on the
6 boundary. So what we did was,
7 we took -- that was a two
8 hundred foot buffer from that
9 item, and extended the removal
10 action area to encompass that.
11 That way, it's a more
12 conservative approach where, you
13 know, we didn't want to follow
14 the strictly mathematical
15 results that cut off right at
16 the edge. We wanted to make
17 sure that, when we do the
18 removal action, we go a little
19 bit beyond it, just to make
20 sure, you know, if there are any
21 other stragglers like that item
22 that's out there, you know, that
23 we've got them covered

1 adequately.

2 The other thing we did was:
3 We took out areas that were
4 previously cleared. So,
5 it -- the scale of this is hard
6 to see, but this is actually a
7 road that was cleared back in, I
8 think, 2004 or 2005, around
9 there. So, obviously, that
10 doesn't have to get cleared
11 again. It was already done
12 once. So, we excluded that from
13 the boundary of it.

14 But, again, on this side, too,
15 we -- there were some MEC items
16 that were found when they did
17 clear that road, so we pushed
18 the boundary out just to give a
19 little bit more buffer, you
20 know, add a little bit more
21 conservatism to the removal
22 action. And, again, too, we
23 extended it up to the northwest

1 here, because, when they did
2 this removal action, they found
3 a lot of MEC items in that area.
4 So, we just wanted to be sure
5 that, you know, we had it
6 adequately covered.

7 So we took that kind of
8 approach on several of the
9 sites, some of the nineteen
10 areas where there may have been
11 three or four that were
12 clustered together really
13 closely. And what we did was we
14 just grouped them all into one
15 area and proposed, instead of
16 having, you know, three small
17 cleanup areas that are
18 co-located, one large one that
19 encompassed all of them.

20 So that was sort of the
21 professional judgment that we
22 used. You know, for the most
23 part, we definitely treated it

1 to err on the side of being more
2 conservative.

3 There were some areas, like
4 this one is hard to see here,
5 but it was an area where the
6 geostatistical results came back
7 and said that there was a high
8 density area, but -- because it
9 was right on the edge of the
10 transect, that's actually a
11 common error in that software,
12 where it's a result of not
13 having enough data in that one
14 location, where it projects it
15 out as being a high-density
16 area.

17 But we justified that with the
18 State. We explained why we
19 didn't think it should be
20 included, you know, and
21 presented that, and, you know,
22 ultimately got their
23 concurrence.

1 So, you know, we -- the
2 mathematical tool is a great
3 tool, but, you know, we wanted
4 to make sure that, you know, we
5 also put a little bit of common
6 sense into it, as well, and,
7 ultimately, delineate the areas
8 that will -- you know, we know
9 will address the munitions
10 impact at the site.

11 Next slide. So this is just a
12 summary of the results. You
13 know, the other thing we wanted
14 to look at is not only spatially
15 where is the contamination
16 distributed, but also
17 vertically, primarily to get
18 data for the removal action.

19 And so this shows the
20 distribution at depth of what we
21 found. The graph on the left is
22 non-hazardous munitions debris,
23 so it was all munitions items,

1 but items that did not have an
2 explosive hazard. And they're
3 generally all within the top six
4 to twelve inches, which kind of
5 makes sense, when you fire an
6 item, when it explodes in the
7 air, you've got smaller pieces
8 that just get scattered, you
9 know, and they, typically, don't
10 have the momentum to get carried
11 too far into the ground.

12 Where this graph on the right
13 are the actual items that have
14 the explosive hazard. And
15 they've got a wider
16 distribution. Still, primarily,
17 within the top two feet. You
18 know, about 90 percent of the
19 items that we found were within
20 twenty-four inches of the ground
21 surface.

22 But, as you expect,
23 these -- when these don't

1 function as intended, you know,
2 you've got larger items that
3 typically tend to bury
4 themselves when they hit the
5 ground so, you know, that's
6 why -- you know, the graph isn't
7 as steep as the other.

8 And the deepest item we did
9 find was at forty-eight inches.
10 So, four feet was a one five
11 five millimeter shrapnel round.

12 So, then, the last objective
13 is, you know, once we've
14 delineated the areas that need
15 to be cleaned up, we need to be
16 able to quantify the residual
17 area and have some kind of
18 information on, you know, what
19 kind of hazard is outside of the
20 areas that are the high
21 concentration of munitions
22 items.

23 So, to do this we used the

1 same software, geostatistical
2 software program that's got
3 another function that
4 calculates, you know, what the
5 hazard is for, you know,
6 basically, the onesies and
7 twosies that are, you know,
8 where the errant shots that
9 landed outside of the impact
10 areas, you know, and what's the
11 risk of encountering those, you
12 know, in the areas that
13 don't -- you know, that aren't
14 subject to a removal action.

15 So our original objective for
16 that was to have a 95 percent
17 confidence that there's less
18 than one MEC item per acre in
19 the areas that aren't going to
20 be cleaned up. And, based on
21 the amount of coverage that we
22 had and the results, we were
23 able to get to a 99 percent

1 confidence level that there's
2 less than 0.384, about, you
3 know, 0.4 per acre. So, you
4 know, this also shows that the
5 areas that aren't going to get
6 cleaned up are low enough hazard
7 that it justifies, you know, not
8 having to take any action in
9 there. And then, you know,
10 gives us a quantitative
11 calculation for, you know, what
12 the residual hazard is in the
13 rest of the -- it ends up being
14 about forty-five hundred acres,
15 you know, that won't -- that are
16 outside of the removal action
17 footprint.

18 I think that was the last
19 objective.

20 PHILLIP BURGETT: Does anyone
21 have any very difficult
22 questions for Greg? I think
23 we're going to have a test on

1 this later.

2 SCOTT BOLTON: But you can
3 cheat and look at the map above
4 Chase and Lisa and Sarah there.
5 And that's kind of where the
6 cleanup areas, after all of the
7 massaging of data and
8 professional judgment, expanding
9 things and so on, that's kind of
10 what you're looking at.

11 The dark green would be the
12 no-further-action areas. All
13 the others are cleanup areas.

14 MR. PHILLIP BURGETT: Thank
15 you, Greg.

16 All right, moving right along.
17 We have removal action and
18 five-year review by
19 Mr. Winningham.

20 MR. MICHAEL WINNINGHAM: Thank
21 you, sir. And I'm going to keep
22 mine simple, since we're just
23 mostly introducing ourselves.

1 Our next one I'll do more
2 complicated with a quiz at the
3 end, keep in line with Chris'
4 philosophy.

5 Once again, this is for the
6 removal action and five-year
7 review of the Charlie area.
8 This is being administrated by
9 the Corps of Engineers in
10 Huntsville and Mobile.

11 So, as Greg said, it's been
12 prioritized into eleven areas,
13 based on the remedial
14 investigation study.

15 And then, right now, our
16 objective is -- hopefully, worst
17 case, is June of 2016 we'll be
18 starting fieldwork. But we're
19 hoping to shift that a little
20 bit to the left, to get out into
21 the field just a little bit
22 earlier is our goal.

23 And then, once we get that

1 done, we'll do all the reports
2 and the findings and the site
3 specific final report.

4 Currently, we'll be updating
5 the land-use control
6 implementation plan and the
7 notice of environmental use
8 restrictions.

9 And then, concurrently, we'll
10 be doing a five-year review of
11 their seventeen areas. And, if
12 necessary, install signs, I
13 think I was told, of kids
14 dancing in a campfire.

15 And any rapid response, if
16 Fish & Wildlife finds it. And
17 then, you know, if we do, to do
18 any type of sampling for any
19 kind of waste that we find out
20 there.

21 Next slide, please. This is
22 just a quick little flow chart
23 of what we've got here. Once

1 again, it's Corps of Engineers,
2 Chase. And then those would be
3 the people supporting over
4 there. And then there's myself,
5 and then I have two smarter
6 people than me, I've got Mikael
7 back there and Jason helping me.
8 And then we got the teams out
9 here, geophysics, we've got the
10 quality management, site
11 management. We're going to
12 have, I think, up to eight
13 geophysical teams, ten UXO
14 teams, brush cutting, surveying.
15 So you will see a lot of folks
16 running around, hopefully around
17 June, July of next year.

18 Next slide, please. So we'll
19 start mobilizing. That will be
20 a phased-in approach. We'll
21 do -- establish our office
22 communications. We'll take over
23 the explosive storage from Greg.

1 We'll do our geophysical system
2 verification, install our IBSs.

3 Once we're doing our
4 surveying, then, like Greg said,
5 they'll do a surface loop first
6 to remove any metallic debris
7 off the surface, so as not to
8 interfere with the geophysics
9 data. And vegetation clearance.
10 Then we'll do the DGM. Process
11 the data. Reacquire the
12 targets. Intrusive (inaudible)
13 removal. And then the whole
14 time we'll be managing the
15 munitions debris.

16 And then these will be going
17 on. So, as we start in area
18 one, we're going to continue on
19 through in the prioritized area.

20 You know, the survey will
21 start there. And then it'll go
22 to the next one, the vegetation.
23 So everybody will just be

1 following down there. And we'll
2 do a nice little road chain.

3 Next slide, please. And then,
4 once again, it's a better
5 picture over here, because you
6 can actually see it clearly, but
7 this is the same thing. Then it
8 just shows the areas and the
9 acreage.

10 And once again, we'll just be
11 starting up here. And one,
12 which is the blue, is the first
13 priority.

14 MR. SCOTT BOLTON: That's
15 basically to get them backed off
16 the boundary so that, if MDA,
17 you know, is in a position to
18 sell, develop or whatever, or,
19 you know, do work like, I don't
20 know, logging and so on.
21 Essentially, the same approach
22 that MDA used, you know, along
23 the roads, you know, get

1 yourself back off of them so
2 that -- so that's why the blue
3 is -- it seems kind of strange
4 and counterintuitive, when you
5 first look at it, but we were
6 prescriptive about that.

7 It wasn't -- probably wasn't
8 Mike's idea and choice, probably
9 not the most efficient way to go
10 at it, but, from the overall
11 perspective of, you know, who
12 kind of the neighbors are and so
13 on, it's the same coordination,
14 we've kind of flipped roles;
15 when Matrix was doing the
16 cleanup, the munitions cleanup
17 for MDA, we used to have to
18 coordinate our activities, you
19 know, so you don't step on each
20 other. And now it's kind of
21 flipped. We're doing the
22 munitions work, while they're
23 doing their other haz waste

1 removal.

2 MR. WINNINGHAM: All right,
3 next slide, please. Mikael will
4 take it here.

5 MR. SPANGBERG: Again, my name
6 is Mikael Spangberg. I'm the
7 project manager with Tetra Tech.
8 Tetra Tech is going to take the
9 lead on the five-year review
10 effort for -- under this
11 contract.

12 We'll be conducting the
13 five-year review at seventeen
14 separate sites. Eleven of those
15 are MEC sites, and six of them
16 are HTRW sites.

17 That will involve conducting
18 site inspections, as well as
19 personnel interviews. We'll
20 review and analyze the relevant
21 data. We're going to determine
22 whether the remedy remains
23 protective of human health and

1 the environment, and then we'll
2 document the findings,
3 conclusions and recommendations
4 in a five-year review report.
5 Jason, next.

6 And, again, this is the
7 five-year review sites. There's
8 eleven sites, which is -- a copy
9 of the map on the wall, which is
10 a much better physical
11 representation.

12 That's all I have on the
13 five-year review. I think
14 that's it.

15 MR. WINNINGHAM: That's our
16 last slide, Scott.

17 MR. SCOTT BOLTON: The
18 guidance essentially requires us
19 to -- all competed sites that
20 have been -- everything that's
21 been completed, you have to re-
22 -- that's not been cleaned to
23 unrestricted use, you go and you

1 review to see if the remedy in
2 place remains protective. And I
3 think the guidance is all
4 completed and underway, which is
5 a little bit goofy to me, the
6 underway is, but it is what it
7 is.

8 And so, that's why they'll be
9 looking -- they'll be looking at
10 some stuff that was just really
11 recently completed. I mean,
12 even the final paperwork and
13 stuff hasn't been done, but the
14 removal action say that training
15 area 24 Alfa that HydroGeoLogic
16 has just recently completed,
17 that'll be sucked up into the
18 five-year review, too, or looked
19 at.

20 MR. PHILLIP BURGETT: Any
21 questions for Michael or Mikael
22 or Scott? Don't have any
23 questions.

1 Don't have any questions?

2 MR. JOHN HALL: I'm good.

3 Thank you.

4 MR. PHILLIP BURGETT: I don't
5 suppose anybody here from ALDOT.

6 Mr. Jones -- I don't see

7 Mr. Jones.

8 MR. SCOTT BOLTON: No. But I
9 think Brenda, you talked to him,
10 right?

11 MS. BRENDA CUNNINGHAM: He
12 sent the update that I just
13 typed --

14 SCOTT BOLTON: Yeah, the --

15 MS. BRENDA CUNNINGHAM: -- on
16 there.

17 MR. SCOTT BOLTON: -- the
18 update that's in the book here
19 is -- obviously, you know, you
20 can drive by and see their
21 paving work.

22 And I guess their biggest
23 challenge is the tie-in at 431,

1 you know, because they're -- you
2 got to keep traffic moving and
3 so on. And 21 is a real joy
4 under there, too, at the right
5 time of day, so -- I think we're
6 all familiar with that, but --

7 MR. GENE HOWARD: Are they
8 pretty firm on that?

9 SCOTT BOLTON: He seems to
10 think, yes, by the end of this
11 year, so we're looking, what,
12 two more months, two and a half
13 months it's going to be open.

14 MR. GENE HOWARD: I just came
15 from that direction. It looked
16 kind of raw up -- back there.

17 MS. BRENDA CUNNINGHAM: I just
18 talked to him a week ago, just
19 to double check and make
20 sure --

21 MR. SCOTT BOLTON: They're
22 paving a lot now. They're
23 moving a lot.

1 You can see it. I'm sure the
2 kids at night and on weekends
3 are having a blast out there, on
4 there, you know.

5 But, yeah, they -- so he seems
6 fairly firm that it seems -- you
7 know, that they should be able
8 to do it by the end of the year.
9 So that'll be good news.

10 Won't get run over on Iron
11 Mountain Road anymore.

12 MR. PHILLIP BURGETT: Moving
13 right along. New business. Do
14 we have any new business that's
15 not reflected on the agenda?

16 If not, we'll move on to
17 agency reports. ADEM, you
18 ready?

19 MS. JULIE ANGE: Yeah,
20 everybody's got our list of
21 documents that we've reviewed
22 and things that are in review.
23 If anybody's got any questions

1 about them, I can try to field
2 those or ask Brandi about them.
3 She actually is the one who put
4 this together, so I haven't seen
5 it anymore than anybody here
6 has.

7 Yeah, we're working away, as
8 usual. So, that's about it.

9 MR. PHILLIP BURGETT: Okay,
10 same old thing. Ms. Pinson?

11 MS. KAREN PINSON: All right.
12 Since the last meeting -- well,
13 first, let me say that we have a
14 new contract for our cleanup
15 activities. And so AECOM is
16 going to be doing the work for
17 us there. It's currently a
18 two-year contract.

19 So we kicked that off by doing
20 the sampling at Range J and K in
21 September of 2015. And they are
22 preparing the annual report for
23 that sampling right now.

1 We also submitted a five-year
2 review report to ADEM in
3 September of 2015. That was
4 under our previous contract.
5 And ADEM is reviewing that, and
6 has some comments ready for us.
7 We've been discussing it with
8 them.

9 So those are the, you know,
10 two new things since the last
11 meeting, other than the fact
12 that we do have a new contract.
13 And we are going to have a
14 kick-off meeting with ADEM and
15 the Corps of Engineers and AECOM
16 in November to discuss our plans
17 for the next couple of years and
18 what ADEM will be looking at for
19 review during those -- during
20 those two years, and just kind
21 of how we're taking -- what
22 we're going to be doing with
23 some of these -- some of our

1 sites.

2 So, at some point, you know,
3 we'd like to, you know, have a
4 presentation here to kind of let
5 you know what we're doing with
6 some of these sites in the next
7 couple of years.

8 MR. PHILLIP BURGETT: Okay.
9 Any questions for Ms. Pinson?

10 Mr. Hardy?

11 MR. GERALD HARDY: My turn.
12 You also have a list of
13 activities by site that's been
14 conducted in the last six
15 months.

16 I'll sort of highlight just a
17 few of the things. And, you
18 know, if you skimmed ahead and
19 see anything you'd like to ask,
20 please, feel free.

21 The first site on there was
22 landfill three and the fill area
23 northwest of Reilly Airfield.

1 The importance there is we've
2 started the process for
3 the -- it has a ground -- a
4 contaminated groundwater plume
5 from the old landfill three that
6 moves in the direction of
7 Highway 21, and then basically,
8 from there, it hits a fault and
9 goes north.

10 We've started the process.
11 And a few months ago, some
12 people, if you rode up Highway
13 21, you saw the drill rigs out
14 there, because we were putting
15 in a number of wells. And that
16 landfill site is so close to the
17 fence for Highway 21, it really
18 limits us being able to get in
19 there and install the wells.

20 And some people remember that
21 when they were initially chasing
22 the plume, they were in
23 the -- there are still wells in

1 the median of the highway out
2 there and some on the other
3 side.

4 That was also highlighted --
5 our interest highlighted, when
6 we -- they announced that they
7 were going to complete the
8 industrial road access all the
9 way up to 21.

10 And that basically comes real
11 close to where we're doing the
12 groundwater remediation. And in
13 fact, two of the wells that are
14 currently installed would have
15 to be removed, because they'll
16 be in the middle of the road,
17 once it's connected to Highway
18 21. So we're trying to sample
19 those again and then get those
20 wells properly abandoned.

21 So, when that activity is
22 ongoing, some people -- people
23 will be able to see it, because

1 it's not hidden back in the
2 Fort. It's right there on the
3 road. And so, when those
4 activities -- because we got a
5 number of calls, they're like,
6 what's going on, you know.

7 And so that's what's going on
8 there.

9 The road -- if I could
10 -- Scott may can back me
11 up -- but they thought they were
12 doing a good thing getting this
13 federal ATRIP money, that's a
14 hundred percent federal money to
15 finish the road. But you got to
16 jump through a few more hoops
17 when it's a hundred percent
18 federal money.

19 They had laid out the path of
20 the road. And then, one of the
21 last things that was discovered
22 that caused them to have to
23 alter their path was a suspect

1 World War I historical trench
2 warfare training area that is
3 sort of, what you do with it's
4 governed by the U. S. Historical
5 Commission. And they said we
6 couldn't go through there with
7 the road, so now they're having
8 to re-lay the roadway and avoid
9 this suspect historical trench
10 warfare area.

11 This falls on the heels of --
12 there were two old buildings
13 right there -- if you've been
14 into the Pappy Dunn Boulevard,
15 there are two falling down old
16 buildings that were initially
17 going to be demolished for the
18 road to go through, and they
19 said, oh, no, they're historical
20 buildings, you can't tear them
21 down. So, they had to redesign
22 the interchange there to put in
23 basically a roundabout in order

1 to hit the access to start up,
2 going towards 21. And now
3 they'll have to sort of go to
4 the right and a little wider to
5 avoid the historical trench
6 warfare area.

7 So there are two historical
8 areas that are impacting the
9 road construction.

10 And then we got to make sure
11 that they avoid landfill three
12 and the fill area northwest of
13 Reilly when the road comes in
14 there, because it's a tight
15 squeeze.

16 So that's a few things going
17 on with that, with landfill
18 three.

19 Any questions before I move
20 on? Jumping ahead.

21 I'll hit on a few things that
22 y'all might notice. If you've
23 come in by Summerall Road or

1 there by the church or where the
2 new spur off the bypass will
3 come in right there by the
4 soccer fields, there's all those
5 old barracks, thirty-two hundred
6 barracks.

7 MR. SCOTT BOLTON: Uh-huh.

8 MR. GERALD HARDY: I think
9 that's right.

10 The city, if you've driven by
11 there, you notice there's a
12 trackhoe sitting there, waiting
13 to start tearing those down.

14 The City of Anniston's going
15 to handle that demolition and
16 will take it to the industrial
17 landfill.

18 And that's probably the last
19 major demo work to be done by
20 MDA. When that's completed,
21 then the industrial landfill or
22 the open one will then begin
23 closure of that site. So,

1 probably within eighteen months
2 to two years, then we'll be
3 looking to close that active
4 landfill, and there won't be one
5 out here.

6 A little hiccup to that is
7 because of the age of the
8 buildings, the city had to get a
9 certification and ADEM approval
10 to demolish potential asbestos
11 that may be in the building.

12 So, if y'all remember back,
13 the city tore down the apartment
14 buildings that were just a
15 little closer to 21, and ran
16 into a problem because there
17 were suspect asbestos in those
18 buildings, and they hadn't
19 received a proper permit from
20 ADEM air division, so the city
21 got a little slap. So, they are
22 treading carefully this time
23 before they start the demo work

1 there.

2 So that will -- to me, is one
3 of the last eyesores out here,
4 those old barracks that the
5 roofs fall in. And people have
6 been out there stealing metal
7 and stuff out of them. Get
8 caught all the time.

9 MR. SCOTT BOLTON: There'll be
10 a lot of unhappy snakes when
11 they're gone.

12 MR. GERALD HARDY: The --
13 one real recent -- we just
14 received it today. We've been
15 doing -- our major lead cleanups
16 are just south of Bains Gap Road
17 and straddle Baby Bains Road.

18 And we completed phase one and
19 got final concurrence on our
20 corrective measures
21 implementation report for phase
22 one.

23 Phase two, which is Range

1 23 -- and, if you look at some
2 of these maps, it's the area
3 that looks like there's a lot of
4 lines -- I don't know -- corner.
5 But, anyway, that's Range 23.

6 And we just received
7 concurrence today on our
8 corrective measures
9 implementation plan, which is
10 how we'll get out there and
11 start digging and remediating
12 the lead contaminated soil and
13 removing that.

14 And concurrently, or sort of
15 concurrently, we'll be doing the
16 third major phase of the
17 Bains Gap lead cleanup, which is
18 Range 18.

19 And if anybody remembered the
20 big bang that we had this time
21 last year, that's part -- that's
22 on Range 18.

23 And so, the butt bunker that's

1 out there is where they actually
2 did the demo work. And
3 that's -- will have to be
4 removed as part of that cleanup.

5 So that'll sort of dovetail
6 into the phase two work. And
7 we'll maybe have two contractors
8 out here moving a lot of dirt.

9 We have finished the -- I
10 think the only probably real
11 remaining MEC work is, once that
12 butt bunker is removed, we'll
13 have to sweep underneath it to
14 make sure there are no rounds
15 that were fired in that area
16 before they constructed the butt
17 bunker.

18 But, beyond that, our
19 previously identified areas,
20 we've completed the fieldwork,
21 are ramping up on the
22 after-action reports. And we're
23 about to swamp Julie here with a

1 number of papers. We're sort of
2 killing a lot of trees, mounding
3 it up.

4 So we're getting those final
5 reports in. That will require a
6 number of them, that weren't
7 cleaned to depth, they were
8 cleared to, in some areas, one
9 foot, so they'll require an
10 environmental covenant to place
11 restrictions on that.

12 And so we're rapidly moving
13 ahead with that. Hopefully, we
14 will have, within the next six
15 months or so, all the After
16 Action Reports in. And so we
17 can move ahead.

18 That's ended up with a -- I
19 think we have four or five that
20 have been approved so far.
21 Anyway, I can't keep count.

22 MS. JULIE ANGE: Something
23 like that.

1 MR. GERALD HARDY: Julie has
2 signed off on four or five of
3 them, so -- and we've got
4 comments that we've responded.

5 And I guess, finally, we've
6 started work on some of the HTRW
7 sites where there's really no
8 further activity ongoing.

9 We're trying -- in the
10 original ESCA and in fact the
11 cleanup agreement that we
12 operate under, the MDA does,
13 has -- calls for a final report
14 of corrective measures. And it
15 specifies prerequisites for
16 environmental covenants. And
17 then we're trying to check those
18 off.

19 And, as we think some of the
20 sites have completed that
21 activity, we're filing final
22 report of corrective measures
23 and requests that ADEM concur

1 that we've met the
2 prerequisites.

3 The final step into that is to
4 submit a request to the Army.
5 And we can do it by site or we
6 can wait till the end and submit
7 one big package.

8 So, that's what we're working
9 on on the HTRW side to close
10 out. And we're beginning to
11 close out a number of those
12 sites.

13 I've rambled longer than y'all
14 probably wanted me to. So, if
15 there's any questions, I'll be
16 glad to try to answer them.

17 MR. PHILLIP BURGETT: Okay.
18 Any questions for Mr. Hardy?

19 MR. SCOTT BOLTON: It's us,
20 huh.

21 MR. PHILLIP BURGETT:
22 Mr. Bolton?

23 MR. SCOTT BOLTON: All right.

1 Well, I think you can see where
2 we have -- the significant
3 activities, I think, that
4 the -- the single biggest
5 thing -- let me kind of send
6 some praise AECOM's way. The
7 remedial investigation
8 feasibility study, quite
9 frankly, it exceeded our
10 expectations. I'll make no
11 bones about it.

12 When -- some of you have been
13 around awhile -- and probably
14 wish you hadn't been around that
15 long -- I know that we used to
16 do a different process for some
17 of these investigations for
18 munitions called an EE/CA,
19 engineering evaluation cost
20 analysis is what the acronym
21 was. And it wasn't giving us
22 really the degree of definition
23 we thought that we needed and so

1 on. And, quite frankly, there
2 were some difficulties with it
3 extrapolating data and so on.

4 So that's why we gambled on --
5 we didn't really gamble, but
6 talked to our director -- our
7 now director, and we agreed a
8 couple years ago to go ahead and
9 do the remedial investigation,
10 feasibility study. Would update
11 everything, bring everything
12 into kind of current risk
13 assessments, all these other
14 kind of things.

15 So, we had some good
16 expectations. And, quite
17 frankly, we felt like, if we
18 could save a hundred acres of
19 cleanup, we would pay for the
20 RI. You know, we'd pay for the
21 effort. So it has turned out
22 really well.

23 But just the level of

1 precision and so on, to get a
2 confidence level of 99 percent
3 of less than, you know,
4 potential probability of less
5 than half an acre -- I mean,
6 that's less than half an item
7 per acre, is extraordinary.

8 And, particularly, I like the
9 way -- the approach that they
10 used, because we kind of
11 quantitatively defined the no
12 further action areas on the --
13 upfront.

14 So, you know, there's always
15 some risk with that, when you
16 define a standard as a fairly
17 regular standard there.

18 So, the other thing that has
19 worked out very, very well for
20 us -- and we did it with the RI,
21 and we've now done it on all
22 subsequent actions -- is we
23 essentially do on-board reviews

1 with ADEM as we go.

2 I'm sure Julie gets sick of
3 some of the phone calls and so
4 on and so forth. But, given the
5 extent of the work that was done
6 and the complexity of the work
7 that was done with the RI, we
8 started doing this because we
9 said, there's just no way that,
10 once we get done and compile all
11 this data and then, you know,
12 basically try to feed somebody
13 with a fire hose.

14 So they have been very, very
15 diligent, spent a lot of time,
16 lot of hours on phone calls with
17 us, meetings with us, and so on.
18 But it really paid off, because
19 when we did finally have a
20 wrap-up meeting, if you will,
21 and we brought in all the folks
22 from ADEM, UXO Pro, their
23 contractor and so on, as

1 technical experts, it went,
2 again, beyond our wildest
3 expectations. They were very
4 pleased with it. We all agreed
5 with some adjustments to make
6 and so on.

7 So, it's been a real good
8 effort. They did a good job.
9 And I think it's -- we have a
10 high level of confidence that it
11 did what it was supposed to do.
12 It has well defined the nature
13 and extent of the contamination,
14 and that's where we go.

15 So they're pretty well out of
16 the field. They were doing some
17 cleanup stuff, I guess, what,
18 the last couple days. You may
19 be done now, I guess.

20 And we're really kind of in
21 the final paperwork phase of
22 that contract. I know Greg has
23 already put out some draft

1 information and so on.

2 That data, in turn, has fed
3 into the contract that was just
4 awarded to Zapata Engineering,
5 that Mike Winningham, Mike
6 Spangberg were talking about.

7 So that's essentially the
8 final munitions contract, if you
9 will, for Fort McClellan.

10 Now, the peer performance on
11 you guys is, what, four years,
12 right?

13 MR. MICHAEL WINNINGHAM:
14 Correct, sir.

15 MR. SCOTT BOLTON: On yours,
16 okay.

17 And so, in a very real sense,
18 you know, at least on the
19 munitions side, the battle has
20 been essentially won. We'll
21 see, you know, once we get the
22 cleanup done.

23 And then, you know, the mop-up

1 will always be messy. So,
2 always, getting all the
3 paperwork done, getting all the
4 boxes checked, trust me, that
5 won't be real fast.

6 But nonetheless, I mean, I
7 think we're actually seeing, you
8 know, kind of heading towards
9 the end state here, on both
10 sides of the house, too, because
11 I know Gerald's timelines and
12 so on are -- you guys are
13 looking at what, '17 to '19, to
14 be done?

15 MR. GERALD HARDY: Yeah.

16 MR. SCOTT BOLTON: Somewhere
17 in that realm, still. Yeah.

18 So, I mean, realistically, in
19 the next four to five years,
20 almost all of the significant
21 cleanup work will be done on
22 this installation, which, quite
23 frankly, was really the largest

1 closure that the Army did. So,
2 I think that's pretty
3 significant.

4 On the installation
5 restoration program, which is
6 our haz waste side of the house,
7 okay, most of you are aware that
8 we have HydroGeoLogic, who are,
9 you know, across the ditch over
10 here. They were awarded a
11 contract last September, I
12 guess, we squeaked that one in.
13 And they have -- they had four
14 major areas, one of -- you can
15 kind of see 'em on this
16 particular map over here, over
17 in the Choccolocco corridor, the
18 old eighty-one millimeter area,
19 24 Alpha and along Bains Gap
20 Road. This is Range 20 that had
21 been previously done.

22 So they're doing -- again,
23 it's a munitions -- it's a small

1 arms, lead, metals cleanup and
2 soil.

3 They've completed the 24 Alpha
4 already. And they are moving on
5 to -- they're now, you'll see --
6 if you go over Bains Gap Road,
7 you'll see a whole bunch of
8 activity in here. They
9 partially re-delineated the
10 Choccolocco corridor.

11 And then, in coordination with
12 the Alabama Forestry Commission,
13 we realized that they had some
14 contracting needs or some lead
15 times that they had to do to be
16 sure and so forth. So we
17 decided to shift the effort back
18 to Bains Gap. And then they'll
19 finish doing the boundary
20 delineation there so the
21 Forestry Commission can value
22 the timber and some other
23 things.

1 We just can't bring loggers
2 into this thing. So, basically,
3 in this case, HGL is going to
4 have to do the tree removal and
5 so on. And they'll then move
6 them to a source where other
7 loggers can pick them up and
8 take them to market and so on.
9 You know, we just don't want
10 some old guys up there with
11 their skidders, dragging
12 contamination around.

13 MR. GENE HOWARD: Excuse me.

14 SCOTT BOLTON: Yeah, Gene.

15 MR. GENE HOWARD: Is there any
16 reluctance on the loggers' part
17 to harvest the pines?

18 MR. SCOTT BOLTON: Not --
19 well, I don't know what you mean
20 by -- I mean, if they're
21 concerned about working on our
22 property for safety reasons --

23 MR. GENE HOWARD: Well --

1 SCOTT BOLTON: -- or anything
2 else, the answer to that's no.

3 MR. GENE HOWARD: It has to do
4 with shrapnel and bullets in
5 wood.

6 SCOTT BOLTON: No. Not that
7 we've heard of. And they
8 certainly removed a bunch of
9 trees out of the 24 Alpha area
10 and so on so --

11 MR. GENE HOWARD: No problems
12 with it?

13 MR. SCOTT BOLTON: Not that
14 we've heard of. So -- yeah, I
15 didn't -- it's never come up as
16 an issue, quite frankly, so --
17 and they've logged -- don't
18 forget, there have been a lot of
19 logging operations on this post,
20 because that was one of the
21 things the installation did
22 through the Corps of Engineers.
23 Their forestry management

1 people, for years and years and
2 years, have conducted logging
3 operations on installation.

4 So, to my knowledge, it's
5 not -- it's just, quite frankly,
6 never really come up before.

7 I guess, if you got a big
8 enough chunk, it could mess up a
9 mill or something, but I don't
10 know.

11 MR. GERALD HARDY: They run
12 magnets over them, so, I mean --

13 SCOTT BOLTON: Yeah.

14 MR. GERALD HARDY: -- I got a
15 feeling, they take --

16 MR. GENE HOWARD: It if hit --

17 MR. GERALD HARDY: -- that
18 into account.

19 MR. GENE HOWARD: -- it'd mess
20 up a saw.

21 MR. SCOTT BOLTON: Yes, if it
22 was a big enough piece, yeah, I
23 agree. Yeah. Just like

1 somebody -- the old stunt that
2 activists used to do, they'd
3 spike a tree --

4 MR. GENE HOWARD: Yeah.

5 SCOTT BOLTON: -- yeah, so
6 that --

7 MR. GERALD HARDY: We actually
8 found an unexploded round in a
9 tree that had stuck in there,
10 hadn't gone -- had gone up in
11 the air. And so we had to not
12 only look on the ground, but we
13 had to go back through some of
14 these areas and look up.

15 MS. LISA HOLSTEIN: Greg had
16 something.

17 PHILLIP BURGETT: Greg has
18 something.

19 SCOTT BOLTON: Yeah, Greg?

20 MR. GREG QUIMBY: Yeah. I was
21 just going to say, I think, in a
22 lot of the areas, when they
23 actually were used for training,

1 they didn't have any trees on
2 them.

3 MR. SCOTT BOLTON: Good point.

4 MR. GREG QUIMBY: A lot of
5 what we found is, you could kind
6 of tell where a bad area was
7 going to be, because it was on a
8 side of a hill, and the trees
9 were all pretty small, which was
10 kind of -- you could just see
11 where they used the side of the
12 hill as the backstop. And it's
13 all relatively newer trees.

14 So, yeah, I don't know
15 how -- you know, site-wide, how
16 much that applies, but I think
17 in a lot of the areas that were
18 the bad areas, you know, back
19 when they used were -- were just
20 open field.

21 MR. SCOTT BOLTON: No, I think
22 it's a valid point. And, of
23 course, when you go site-wide,

1 you know, don't forget Fort
2 McClellan's been used for
3 literally a hundred years. You
4 know, there's information Camp
5 Shipp, Spanish-American War, the
6 place was used.

7 So, when you have that kind of
8 a history, you know, you can
9 have a hundred year old tree out
10 there that is now grown -- you
11 know, a substantial tree,
12 obviously, in a place that had
13 been, you know, looked like a
14 strip mine, you know, when it
15 first came up, so -- but I think
16 it's a good question. I've just
17 never heard of it, you know,
18 being an issue. But I
19 understand the point. So, it's
20 interesting.

21 But, anyway -- so those are
22 the -- I think, the most
23 significant things. The -- like

1 I said, the same model, though,
2 that we used with the RI,
3 particularly with the regulators
4 and other stakeholders, Corps of
5 Engineers and so on, you know,
6 we're all on the phone weekly on
7 all the projects now, and have
8 everybody -- because it has
9 worked -- it has really smoothed
10 things. I think the process
11 works very smoothly now. And it
12 probably relates to efficiency.

13 It's hard to measure, you
14 know. You know, you can't --
15 let's do it screwed up, and now
16 let's do it the other way and
17 see if one's better. You know,
18 you don't have that option, so
19 you're stuck with the process
20 that you've got.

21 But it seems to have worked.
22 It worked very, very well with
23 the RI and it seems to be

1 working with everything else, as
2 well. So we're real happy with
3 that. And I -- same, real
4 optimistic.

5 So that's about it. Like I
6 say, the significance is, we
7 have kind of the final two
8 removal contracts in place
9 that'll complete the -- at least
10 on the Fish & Wildlife Refuge
11 side, you know, active Army side
12 of things, should complete in
13 the next four years. The
14 fieldwork will complete before
15 then.

16 We should have final reports
17 on both of those efforts in the
18 next four years. And there'll
19 be probably several years
20 thereafter. So you're not
21 looking at least at being
22 unemployed any time soon.

23 MS. LISA HOLSTEIN: Thank God.

1 MR. SCOTT BOLTON: Which is,
2 I'm sure, near and dear to her
3 heart.

4 But, if anybody has any other
5 questions, we'd be happy to try
6 to address them. Going once.
7 Going twice.

8 MR. PHILLIP BURGETT: Upcoming
9 programs, any ideas for upcoming
10 programs?

11 Your band want to play?

12 MR. JOHN HALL: Y'all want to
13 listen?

14 SCOTT BOLTON: Well, I guess,
15 as always, if you have an idea
16 or a question or need, you know,
17 call Brenda.

18 MR. PHILLIP BURGETT: Okay.
19 Any comments from the audience?
20 Any questions? Comments?
21 Et cetera? Et cetera?

22 MS. BRENDA CUNNINGHAM: I have
23 one. If you're a guest or

1 contractor, would you make sure
2 you sign the book out here so I
3 can give it to Samantha so she
4 can get your name?

5 MR. PHILLIP BURGETT: Okay. I
6 guess the only thing left is
7 adjournment. Any objections to
8 adjournment?

9 MR. JOHN HALL: I make a
10 motion to adjourn.

11 MR. SCOTT BOLTON: Second it,
12 yeah.

13 MR. PHILLIP BURGETT: All
14 those in favor? We're
15 adjourned.

16 MR. SCOTT BOLTON: Thank you
17 for attending, those who
18 attended. I guess we'll see
19 everybody in April.

20 (Whereupon, the meeting was
21 adjourned at 6:05 p.m.)
22
23

C E R T I F I C A T E

STATE OF ALABAMA)

CALHOUN COUNTY)

I, SAMANTHA E. NOBLE, a Court Reporter and Notary Public in and for The State of Alabama at Large, duly commissioned and qualified, HEREBY CERTIFY that this proceeding was taken before me, then was by me reduced to shorthand, afterwards transcribed upon a computer, and that the foregoing is a true and correct transcript of the proceeding to the best of my ability.

I FURTHER CERTIFY this proceeding was taken at the time and place as noted and was concluded without adjournment.

1
2
3
4 IN WITNESS WHEREOF, I have
5 hereunto set my hand and affixed
6 my seal at Anniston, Alabama, on
7 this the 14th day December 2015.
8
9

10
11
12 _____
13 SAMANTHA E. NOBLE (ACCR 232)
14 Notary Public in and for
15 Alabama at Large
16

17 MY COMMISSION EXPIRES: 11-6-2017.
18
19
20
21
22
23